

STATE OF NEW HAMPSHIRE
PUBLIC UTILITIES COMMISSION

&

STATE OF MAINE
PUBLIC UTILITIES COMMISSION

NHPUC JUL27'12 PM 3:37

May 17, 2012 - 10:05 a.m.
Unitil Corporate Headquarters
6 Liberty Lane West
Hampton, New Hampshire

MORNING SESSION
ONLY

RE: NEW HAMPSHIRE PUC DOCKET NO. DG 11-290
NORTHERN UTILITIES, INC. - N.H. DIVISION:
MAINE PUC DOCKET NO. 2011-526
NORTHERN UTILITIES, INC. - MAINE DIVISION:
Integrated Resource Plan.
(Joint Technical Session)

Court Reporter: Steven E. Patnaude, LCR No. 52

ORIGINAL

APPEARANCES: Reptg. Unitil/Northern Utilities, Inc.:

Gary M. Epler, Esq. (Unitil)
John Gulliver, Esq. (Pierce Atwood)
Rob Furino (Unitil)
Ann Hartigan (Unitil)
Fran Wells (Unitil)
Daniel Goodwin (Unitil)
George Simmons (Unitil)
James Simpson (Concentric Energy Advisors)
Melissa Bartos (Concentric Energy Advisors)

Reptg. Maine Office of Public Advocate:

Wayne Jortner, Esq.
William Black, Esq. (Deputy Public Advocate)
John Rosenkranz (Consultant)

Reptg. Maine Public Utilities Commission:

Carol MacLennan, Esq., Hearing Examiner
Michael Simmons, Utility Analyst
Lucretia Smith, Utility Analyst

Reptg. PUC Staff:

Marcia A. B. Thunberg, Esq.
Stephen P. Frink, Asst. Dir./Gas & Water Div.
Robert Wyatt, Util. Analyst/Gas & Water Div.
George McCluskey, Utility Analyst/Elec. Div.

I N D E X**PAGE NO.****INTERROGATORIES BY:**

| | |
|----------------|--------------------|
| Mr. McCluskey | 13, 51, 57, 87 |
| Mr. M. Simmons | 31 |
| Ms. MacLennan | 32, 42 |
| Mr. Jortner | 38, 53 |
| Ms. Smith | 49 |
| Mr. Rosenkranz | 51, 54, 75, 77, 82 |
| Mr. Wyatt | 74 |

1 P R O C E E D I N G

2 MS. MacLENNAN: Good morning. Thank you
3 for helping to arrange this technical conference. This is
4 a joint technical conference between the Maine Commission
5 and the New Hampshire Commission. The Maine docket is
6 2011-526. And, I'll let the New Hampshire folks provide
7 the number for the New Hampshire docket in a moment.

8 We may have actually accomplished
9 introductions informally. But, for the record, it
10 probably makes sense to go around the table. I'm Carol
11 MacLennan, the Presiding Officer for the Maine proceeding.
12 And, with me is Michael Simmons, a Utility Analyst, and
13 also Lucretia Smith, a Utility Analyst. And, then,
14 I'll --

15 MR. JORTNER: I'm Wayne Jortner, with
16 the Maine Office of Public Advocate. And, my colleague,
17 William Black, will be here any moment.

18 MR. ROSENKRANZ: John Rosenkranz,
19 consultant for the Maine Public Advocate's Office.

20 MR. EPLER: Gary Epler, Unitil.

21 MS. HARTIGAN: Ann Hartigan, Unitil.

22 MR. WELLS: Fran Wells, Unitil.

23 MR. FURINO: Rob Furino, Director of
24 Energy Contract for Unitil.

1 MR. GULLIVER: Good morning. John
2 Gulliver, of Pierce Atwood, representing Unitil.

3 MS. BARTOS: Melissa Bartos, with
4 Concentric Energy Advisors, working with Unitil.

5 MR. SIMPSON: Jim Simpson, with
6 Concentric Energy Advisors, assisting Unitil.

7 MR. GOODWIN: I'm Dan Goodwin, from
8 Unitil.

9 MR. G. SIMMONS: George Simmons,
10 Regulatory Services, Unitil.

11 MS. THUNBERG: Marcia Thunberg, New
12 Hampshire Public Utilities Commission.

13 MR. FRINK: Stephen Frink, New Hampshire
14 Public Utilities Commission.

15 MR. WYATT: Bob Wyatt, New Hampshire
16 PUC.

17 MR. McCLUSKEY: I'm George McCluskey,
18 New Hampshire PUC.

19 MS. MacLENNAN: Great. I believe we
20 sent through e-mail a couple of days ago an agenda, sort
21 of a general, topical agenda. And, the format we'd like
22 to proceed in is New Hampshire Staff to begin the
23 questioning, with Maine Staff and Public Advocate
24 interjecting, I guess, questions, as they fit in, or the

1 OPA, if you like, can go at the end, whichever your
2 preference is.

3 MR. McCLUSKEY: Okay.

4 MS. MacLENNAN: It's my hope, I guess
5 I'll just say this, that my expectation that we may be
6 able to end by 3:00 today. But we'll see how the
7 questioning goes.

8 MR. McCLUSKEY: Okay.

9 MR. GULLIVER: We may have a
10 preliminary --

11 MR. FURINO: Yes. If I could, just
12 briefly. I think the majority of you are familiar with
13 most of our staff. But, since we have some new people
14 here today, I just wanted to make sure --

15 MR. McCLUSKEY: Okay.

16 MR. FURINO: -- that people were
17 familiar with which portions of the Resource Plan that
18 individuals on our team have contributed to. And, I
19 thought also, you know, we've had a recent exchange with
20 regard to updating and questions about a given data
21 request. So, we have some follow-up handouts to provide,
22 you know, in that regard.

23 If I look at the "Table of Contents" in
24 the IRP, and go to the first major sections. We have two

1 sections, the "Demand Forecast" and the "Planning
2 Standards". Those were prepared primarily by Concentric
3 Energy Advisors. So, again, Jim Simpson and Melissa
4 Bartos are here to speak on that.

5 The "Resource Portfolio Assessment" was
6 largely based on the work of Fran Wells, in terms of the
7 SENDOUT modeling, and with assistance from Ann Hartigan,
8 in terms of the portfolio and market conditions.

9 We have a "Demand-Side Management"
10 section, but we do not have anyone here today to speak
11 directly to demand-side management, given the agenda that
12 was provided for today.

13 And, then, just briefly, I wanted to --
14 I think you all know Fran Wells. He's been representing
15 Northern at all of our cost of gas filings. Ann Hartigan
16 is our Trader for Northern Utilities. Ann has extensive
17 history in natural gas trading, and she's our expert in
18 natural gas markets, with, and she can help me, if need
19 be, but with Adams Resources, Select Energy, --

20 MS. HARTIGAN: Uh-huh.

21 MR. FURINO: -- five years with Sprague
22 Energy?

23 MS. HARTIGAN: Yes.

24 MR. FURINO: And, she's been with

1 Northern for two years now. Dan Goodwin is our Energy
2 Analyst. All the data analysis, things like collecting
3 data, customer data, operational forecasts that the
4 Company prepares, Dan is responsible for overseeing our
5 parameters that feed our daily operational forecasts for
6 Northern. And, he worked closely with Jim and Melissa in
7 developing the demand forecast itself. So, he's very
8 familiar with that, and he's one of our go-to data guys.
9 So, just wanted to round out, sort of give a little
10 introduction for our team here.

11 Yesterday, there were questions raised
12 about our Attachment Staff 1-37. And, we provided that
13 initially as a PDF file. The Maine Commission Staff had
14 asked for the Excel file for that. And, after receiving
15 that, raised the question of "well, why is there very
16 low", I guess, "growth for the" -- I guess it was the "G40
17 sales customers?"

18 MR. GULLIVER: Yes.

19 MR. FURINO: And, we found a modeling
20 error. So, I corrected that last night, and sent around a
21 new revised version of that. I have a printout of that
22 here today, just so that you'll have it. I'll send what I
23 believe to be half of these each way around the table.
24 The error itself --

1 MS. THUNBERG: I'm sorry, Rob. Can I
2 just interrupt?

3 MR. FURINO: Yup.

4 MS. THUNBERG: The document you're
5 passing around, is that the one you sent around in this
6 morning's e-mail?

7 MR. FURINO: Yes. I think I sent two
8 separate documents. Actually, this morning -- it's not
9 the one I sent this morning.

10 MS. THUNBERG: Okay. All right.

11 MR. FURINO: It's the one that I sent
12 last night.

13 MS. THUNBERG: Thank you.

14 MR. FURINO: So, it's a printout of the
15 Excel file I sent last night.

16 MS. THUNBERG: Thank you.

17 MR. FURINO: And, you know, we will
18 refile this with New Hampshire, when we submit the Set 3
19 responses. And, this will be "Revised Attachment Staff
20 1-37".

21 MS. THUNBERG: Perfect. That way our
22 discovery person in our Docket Room will get it
23 electronically and put it in the appropriate electronic
24 file. Thank you, Rob.

1 MR. FURINO: Right. And, you know, the
2 error that we had was that, if you go to, say, the second
3 page, and it was all in the "Summary" information. Thank
4 you, George. Where we have gas years 2005-06 through
5 2010-11, off to the side we were summarizing by years 1
6 through 6, and the values 1 through 6. Because, if you
7 look at some of the data in the columns, if you look at
8 the far right, you see the "Sales" column that says "G52",
9 you'll see a lot of fives, and a few sixes in there.

10 Well, what happened was, our formula was referencing not
11 just the year number that we assigned, year 1 through 6,
12 it was also picking up data from within the dataset that
13 we were summarizing. So, it didn't correctly state that.

14 So, the revision we sent around last
15 night corrects for that. And, as you can see, there has
16 been no loss in the sales customers there.

17 Also, I provided this today, because
18 Maine had asked for data on customer migration for the two
19 divisions. So, this attachment provides that. And, so,
20 as you can see, if you're looking at Page 2, you can see
21 the split for our G and T40 customers. Where now you see,
22 as of 2010-2011, 94 percent of those customers are on
23 sales service, 6 percent are on transportation service.
24 And, this is in terms of sales, and not customer counts.

1 And, as you go to larger class groups, you can see --
2 well, you see similar numbers for the 50 group, which are
3 also small customers. The 41/51s are in the 67, 67 --
4 66 percent range for sales, and 33, 34 percent range for
5 transportation. And, the larger group of customers, the
6 42s and 52s, you see sales at 43 percent, transportation
7 at 57 percent, for the 42s. For the 43s, only 18 percent
8 is sales customers, and 82 percent are transportation.

9 Those are the New Hampshire numbers.
10 The comparable numbers for Maine are listed on the last
11 sheet here.

12 So, I just wanted to present that to you
13 today, draw your attention to it. The e-mail that I did
14 send around this morning, with the call-in instructions
15 that we turned out not to need, so it's good to see John
16 in person today, present the capacity exempt customer
17 accounts that we were able to obtain for the period of
18 December 2008 forward. And, so, there is a sheet for
19 Maine and a sheet for New Hampshire on that, and we'll
20 hand that around.

21 So, those are the handouts that I have.
22 In addition, there were some questions about, we saw
23 anyway, in New Hampshire Staff Set 3, discovery about EDD
24 data and what the Company receives from Telvent, its

1 weather service provider.

2 MR. WYATT: Uh-huh.

3 MR. FURINO: And, we do have a copy of a
4 periodic forecast e-mail that we receive. And, I believe
5 we receive this four times a day. We can update that
6 through our agreement with Telvent, receive it as
7 frequently as we require.

8 So, I'll hand that around, just so that
9 people have it for reference. And, when the time comes to
10 talk about EDDs and weather data and what your questions
11 are, we can refer to that at that time.

12 MR. WYATT: Okay.

13 MR. FURINO: So, that's it that we had.
14 So, New Hampshire Staff is going to --

15 MS. MacLENNAN: Well, could I jump in
16 with one more preliminary? And, that is just to let you
17 know that we do have some questions regarding efficiency
18 or DSM for the Company today. I didn't -- we didn't
19 identify that specifically, we were thinking of it as
20 within the load forecast area.

21 MR. FURINO: Okay. And, we will respond
22 as well as we can, and certainly take back anything that
23 we don't feel comfortable responding to directly.

24 MS. MacLENNAN: Okay. All right. Thank

1 you.

2 MR. McCLUSKEY: Okay. I guess New
3 Hampshire is starting. We're going to kick off with the
4 -- first of all, I'd like to apologize, I don't feel quite
5 as organized as what I would normally do, given that I had
6 two sets of discovery to issue yesterday in two separate
7 proceedings, and that was quite stressful. So, I may be
8 bumbling along today, but I guess we'll get there.

9 I'm going to kick off with the planning,
10 a couple of planning load questions. But I want to -- you
11 described, Rob, the content of the IRP. Based on the
12 review to date, I think certain New Hampshire Staff
13 testimony is probably going to focus on DSM assessment,
14 which I discussed at the first tech session. And, we're
15 not going to address that today. We know what we're going
16 to say on that issue.

17 The other area of concern is supply
18 modeling. The more we review and look into the filing,
19 the greater our concerns are. My initial reaction to the
20 filing was "Hmm, this is pretty good." The more we look
21 into it, the more concerns that we have.

22 On the demand forecast/planning load,
23 we've got a couple of questions today, but I wouldn't say
24 that major concerns have jumped out of the IRP in that

1 particular area. So, Jim and I are not going to be
2 butting heads, which is very unusual, I have to say. And,
3 so, --

4 MR. GULLIVER: We were selling tickets
5 on that premise, you know.

6 MR. McCLUSKEY: So, we --

7 MR. G. SIMMONS: So, we can dismiss him
8 now?

9 MR. McCLUSKEY: I'll ask him a few
10 questions, then he can go, if he wants.

11 Okay. So, on the -- what I call the
12 "planning load", Set 2-2, we asked I think it was a
13 multipart question. And, that question, by the way, was
14 referencing Staff 1-1. And, in particular, the attachment
15 that was provided to that response. And, do you have
16 that?

17 MR. SIMPSON: Yes. I don't want to
18 interrupt you. I'll just say that, sorry, we missed the
19 import of the question. And, you know, the follow-up 3
20 was sort of the dope slap we needed. And, by "we", of
21 course, I mean "me". So, what I'm going to pass out is
22 what we would have, should have provided in response to
23 2-2.

24 MR. McCLUSKEY: Okay. Well, --

1 MR. SIMPSON: And, I can walk through
2 the --

3 MR. McCLUSKEY: Well, for the benefit of
4 the -- why don't you let me kind of set it up first.

5 MR. SIMPSON: That's fine.

6 MR. McCLUSKEY: Then, you can explain --

7 MR. SIMPSON: Yes.

8 MR. McCLUSKEY: -- how you would have in
9 discovery.

10 MR. SIMPSON: Yes.

11 MR. McCLUSKEY: And, then, the Maine
12 people get the benefit of that response. So, as I was
13 saying, the 1-1 was effectively focusing on the marketing
14 adjustment component of the planning load. And, I think
15 we asked "provide the support for your planning load
16 numbers over the five year period." And, so, you provided
17 Attachment 1, and we compared the quantities for New
18 Hampshire, the demand quantities in Attachment 1 to
19 quantities that were in Table III-3.

20 And, so, in Question 2-2, we said "okay,
21 tell us how the numbers in Attachment 1 support the
22 numbers in Table III-3." And, I suspected you had misread
23 the question, though, maybe I could have been a little bit
24 more refined in how I asked Part (a), and more direct,

1 which I normally am. But let's try -- I admit that and
2 recognize that. So, anyway, you missed the point.

3 MR. SIMPSON: Yes.

4 MR. McCLUSKEY: And, so, I'm looking at
5 the numbers in Attachment 1-1 to New Hampshire and saying
6 "you don't support the numbers in Table III-3." So, can
7 you resolve that riddle?

8 MR. SIMPSON: Absolutely, we can. So,
9 if people will refer to the page that was just passed out.
10 The first four -- so, this is for the forecast period,
11 2011-12 through 2015-16. The first four columns are
12 direct copies from Attachment Staff 1-1. And, then, we
13 added the "total" column to add up the four prior columns.
14 And, so, those totals are the same as one of the columns
15 in Page Appendix III-84.

16 MR. McCLUSKEY: One moment again, Jim.
17 So, the first four columns of this sheet --

18 MR. SIMPSON: First four columns are
19 copies from Attachment Staff 1-1.

20 MR. McCLUSKEY: For New Hampshire or for
21 Maine?

22 MR. SIMPSON: Oh. They are for New
23 Hampshire. There was a response somewhere along the line,
24 which identified that the Staff 1-1 headings are reversed.

1 And, what is shown as "Maine Division" is actually "New
2 Hampshire", and what is "New Hampshire Division" is
3 actually "Maine". That's on Attachment Staff 1-1.

4 MR. McCLUSKEY: I wasn't aware of that.
5 So, what's the -- when did you send that out?

6 MR. SIMPSON: That came from the Company
7 at some point, I think, right?

8 MR. FURINO: I'm really not sure about
9 that, Jim.

10 MR. SIMPSON: Okay.

11 MR. FURINO: I'm sure it has. Just
12 trying to catch up.

13 MR. McCLUSKEY: Okay. So, with that
14 correction then, the first four columns that you're
15 showing on this new sheet are New Hampshire numbers?

16 MR. SIMPSON: They are.

17 MR. McCLUSKEY: Okay.

18 MR. SIMPSON: Yes.

19 MR. McCLUSKEY: So, this adds up to
20 "461,333". And, go from there.

21 MR. SIMPSON: Yes. So, you highlighted
22 the "461,333" for the year 2015/2016.

23 MR. McCLUSKEY: Yes.

24 MR. SIMPSON: And, if we go to Page

1 Appendix III-84. And, the Page Appendix III-84 is "Table
2 NH-MP-1 Marketing Program". And, the first three columns
3 of numbers are for the normal, under normal weather
4 conditions, and then the last three columns are for design
5 conditions. So, if you compare the "Total Split Year"
6 column numbers to the numbers in the sheet that I just
7 handed out for -- in the "total" column, that's the total
8 of the numbers in Attachment Staff 1-1, those numbers
9 match. Okay? So, that's the correspondence between Staff
10 1-1 and Table NH-MP-1.

11 And, as the heading in the page that I
12 just passed out states, all those numbers are for the
13 total marketing adjustment. That is, the total planning
14 load, as well as the capacity exempt piece of the
15 marketing adjustments. The assumption being that some of
16 the added load will opt to be capacity exempt.

17 MR. McCLUSKEY: I'm not getting this.

18 MR. SIMPSON: Okay.

19 MR. McCLUSKEY: Let me kind of direct
20 you through it.

21 MR. SIMPSON: Yes.

22 MR. McCLUSKEY: So, Table -- this is on
23 Page III-12 of the IRP. Okay?

24 MR. SIMPSON: Yes.

1 MR. McCLUSKEY: And, Table III-3 is for
2 the New Hampshire Division, correct?

3 MR. SIMPSON: Yes.

4 MR. McCLUSKEY: And, it's referred to as
5 the "Base Case Normal Year Planning Load".

6 MR. SIMPSON: Yes.

7 MR. McCLUSKEY: And, the 2015/16 figure
8 of "339,086" --

9 MR. SIMPSON: Yes.

10 MR. McCLUSKEY: -- is shown on the sheet
11 that you just handed out for that year. Okay?

12 MR. SIMPSON: Yes.

13 MR. McCLUSKEY: Now, the figure of
14 "461,333", which is shown on that sheet, is that a base
15 case or --

16 MR. SIMPSON: It's a base case total
17 load. The "461,333" is planning plus capacity exempt.
18 The numbers that you're seeing on Table -- on Page III-12,
19 in Table III-3, is planning load only. So, George, --

20 MR. McCLUSKEY: Oh, I see.

21 MR. SIMPSON: -- on the sheet that I
22 passed out, okay, what I did, the math that I did was to
23 start with the total that we developed from Attachment
24 Staff 1-1.

1 MR. McCLUSKEY: Okay.

2 MR. SIMPSON: And, then, I -- next to it
3 I put the planning load that we had provided in
4 Table III-3. And, then, I did the subtraction of -- I
5 subtracted the planning load from the total load, and
6 those numbers then match up. It's -- first of all, it's
7 the difference between the two sets of numbers, and it's
8 also equal to the "capacity exempt" portion of the
9 Marketing Program. And, those numbers are shown on Page
10 Appendix III-86. There's a rounding error for the last
11 year, but otherwise they match up.

12 MR. McCLUSKEY: Okay. I get it now.
13 So, --

14 MR. SIMPSON: Yes.

15 MR. McCLUSKEY: Okay. So, you can see
16 the workpaper that you provided in response to the
17 question does not support the numbers on Table III-3,
18 because we were not aware that one was referring to total
19 planning load, with capacity exempt, and the other one was
20 referring to planning load with capacity exempt marketing
21 adjustment excluded.

22 MR. SIMPSON: Right. I guess -- I guess
23 what could have been made clearer was that Staff --
24 Attachment Staff 1-1 was the total marketing load.

1 MR. McCLUSKEY: That's correct.

2 MR. SIMPSON: Yes.

3 MR. McCLUSKEY: Okay. I understand the
4 difference now. Okay. Now, this switch from switching
5 the labels "New Hampshire Division" and "Maine Division",
6 is this the -- oh, this was an attachment. This was not
7 in the IRP.

8 MR. SIMPSON: That's correct.

9 MR. McCLUSKEY: So, presumably, you've
10 got the labels correct in the IRPs, is that right?

11 MR. SIMPSON: We did. We did.

12 MR. McCLUSKEY: Okay. That's good.
13 Okay. So, that answers that question.

14 Now, several questions had asked for
15 information on planning load, historical planning load,
16 going back to 2005/06, I think was the first year. And,
17 the Company was not able to provide that, because of the
18 alleged inability to access capacity exempt load data?

19 MR. SIMPSON: That's correct.

20 MR. McCLUSKEY: For the years prior to
21 2010/11 or was it 2009/10?

22 MR. SIMPSON: There was data that was
23 provided to the Company starting in July 2008. So, that
24 was just right before --

1 MR. McCLUSKEY: Okay.

2 MR. SIMPSON: -- the acquisition.

3 MR. McCLUSKEY: Okay.

4 MR. SIMPSON: And, we tried to use that
5 data in our modeling efforts. That is, this is the
6 "capacity exempt" piece.

7 MR. McCLUSKEY: Okay.

8 MR. SIMPSON: And, it just was not
9 possible. There was -- there were disconnects between the
10 billing data that Unitil had been provided and actual
11 numbers, you know, what actually happened. So that
12 implausible -- the capacity exempt numbers produced
13 implausible results, like the capacity exempt totals for
14 some months were greater than total transportation.

15 MR. McCLUSKEY: Okay.

16 MR. SIMPSON: And, there was no way to
17 go back -- no way that the Company could find to go back
18 and clean up that data. So, that data was not usable.
19 The first usable data was the data that the Company
20 started acquiring and developing themselves, once they
21 took over the company, took over Northern.

22 MR. McCLUSKEY: Yes.

23 MR. SIMPSON: So, that is December 2008
24 and on. So, for modeling purposes, December 2008 didn't

1 do us any good, because we had to use quarterly data, and
2 we didn't have the first two months of that quarter. So,
3 for modeling purposes, the first data that we could use
4 from the capacity exempt data that the Company could
5 provide us was the data starting with January of 2009.
6 So, that's the same as Quarter 1 2009. And, for purposes
7 of reporting in the tables that were dealing with a gas
8 year and with a peak -- a gas peak period, because we
9 didn't have the capacity exempt data starting in November
10 of 2008, we couldn't report the full 2008/2009 peak
11 period, which would run from November 2008 through
12 March 2009. So, in the tables, the first period that we
13 could start reporting was the off peak period of 2009.
14 For our modeling purposes, the first data that we could
15 use was Quarter 1 of 2009.

16 MR. McCLUSKEY: I see.

17 MR. SIMPSON: And, that's a much more
18 lucid description than I provided in the responses, for
19 which I apologize.

20 MR. McCLUSKEY: No. That's fine. I
21 think we got the gist of the responses. We don't have the
22 data for the period in order to respond to some of our
23 questions on the historic period.

24 MR. SIMPSON: Right.

1 MR. McCLUSKEY: Now, I think you
2 indicated that you had some data but for the historic
3 period, but it wasn't something of the quality that you
4 required for the work that you were doing?

5 MR. SIMPSON: We knew it was unreliable,
6 yes.

7 MR. McCLUSKEY: Okay. Now, the Staff
8 has data on sales and customer numbers for both
9 grandfathered and non-grandfathered transportation
10 customers for the Northern Utilities' New Hampshire
11 Division back to 2004. And, so, we're wondering why the
12 Company doesn't have this information? And, I think the
13 best -- so, kind of raises a couple questions. We said
14 it's for the New Hampshire Division, that's why we have
15 it. One would expect that a similar table would have been
16 put together for the Maine Division. So, when we hand
17 this out, if the Maine Staff could inquire, when it gets
18 back to the office, as to whether they have similar data
19 for this period, then, if it's determined to be useful,
20 quality data, then we'd like to have the Company fill in
21 some of the holes for the historic period that appear in
22 the IRP. So, I've just got one copy at the moment. And,
23 Gary, do you want to have somebody --

24 MR. G. SIMMONS: I'm the lackey.

1 MR. McCLUSKEY: Yes.

2 MR. G. SIMMONS: Just all these pages?

3 MR. McCLUSKEY: Yes. You probably want
4 to make several copies of it.

5 MR. G. SIMMONS: Oh. Oh, sure.

6 MR. McCLUSKEY: So, why the Company
7 doesn't have this? I don't know what the answer to that
8 is. But we certainly received it on a regular basis from
9 the prior owners of Northern Utilities. And, --

10 MR. WYATT: And, also from the Unitil
11 folks. In the monthly -- for a while they were provided
12 in the monthly over/under cost of gas reporting. It was a
13 supplemental schedule of transportation customer counts
14 for grandfathered/non-grandfathered, and the same thing
15 for grandfathered and non-grandfathered FT loads by rate
16 class.

17 And, I think Northern now provides that
18 under separate cover electronically, electronic filing
19 monthly, that data, in the same template format. That's
20 been used since 2003 or 2004. You'll see, when you get
21 your copy.

22 MR. McCLUSKEY: Yes. So, if it is the
23 kind of data that you would have wanted, Jim, the only
24 reason for raising it is -- it's not a big deal to us that

1 you don't have it. But, if it is quality data on the New
2 Hampshire side, and Maine has similar data, we would like
3 the Company to go back and fill in those gaps, that that
4 would be helpful, in terms of our review of where the
5 planning load is going forward. That's essentially what
6 we want to do. We want to see how -- what you're planning
7 going forward and how it's been in the past. Having two
8 years is just not sufficient to make that analysis.

9 MR. SIMPSON: It's not ideal.

10 MR. McCLUSKEY: It's not ideal.

11 MR. SIMPSON: We agree.

12 MR. McCLUSKEY: That's correct. Yes.

13 MR. WYATT: I think those reports were
14 requested by Staff, by me, back when I first came on board
15 at the Commission, and they were referred to as "Migration
16 Reports", "Transportation Migration Reports".

17 MR. SIMPSON: Did Joe prepare them? Ron

18 --

19 MR. WYATT: Ron Gibbons.

20 (Court reporter interruption.)

21 MR. SIMPSON: Joe Ferro or Ron Gibbons?

22 MR. WYATT: Ron Gibbons put the reports
23 together. Joe Ferro was familiar with them, as was Ron
24 Slate. But Ron Gibbons needed to pull the data from the

1 billing system, I believe.

2 MR. McCLUSKEY: Okay. So, those --
3 those are my questions on planning load. I don't know if
4 the Maine Staff has anything?

5 MS. SMITH: Just while they're thinking
6 about it, I know that we don't get or we didn't get
7 similar migration reports in Maine. So, anything we would
8 have had would have come in in a cost of gas filing. And,
9 we didn't get those separate reports that you're referring
10 to. So, --

11 MR. WYATT: Uh-huh. Okay. Another area
12 where they might have been detailed would have been in the
13 cost of gas reconciliations, perhaps. But, with capacity
14 exempt, I guess it wouldn't be likely that those would
15 have been excluded, because they --

16 MS. SMITH: And, so, we can look back
17 and see what was in the cost of gas filings. But I know
18 there are no reports separate from the cost of gas filing.
19 And, of course, Maine didn't have grandfathered customers,
20 nor did we start as early. So, there would be not as much
21 data anyway that would be missing, if you will, in that we
22 didn't start with the capacity exempt or capacity
23 assignment until 2006-2007?

24 MS. MacLENNAN: January 2006.

1 MS. SMITH: So, --

2 MR. McCLUSKEY: Jim, it seems to me,
3 just while Lucretia was talking, that even if we don't
4 have corresponding Maine data, I think you could do the
5 historical build-out for New Hampshire at least, based on
6 the data that you've got.

7 MR. SIMPSON: Right. They are separate
8 issues.

9 MR. McCLUSKEY: Are separate issues.

10 MR. SIMPSON: Yes.

11 MR. McCLUSKEY: Yes. And, since we're
12 interested in the development of the planning load for New
13 Hampshire, that should be sufficient.

14 MR. FURINO: George, just a quick
15 question?

16 MR. McCLUSKEY: Yeah.

17 MR. FURINO: The data that New Hampshire
18 has, and maybe I'll see it when it comes around, is it
19 available by rate class?

20 MR. WYATT: Yes.

21 MR. McCLUSKEY: Yes. It is.

22 MR. FURINO: That's great. We're just
23 peeking at the handout I just made for the capacity exempt
24 loads in Maine. You know, they're saying, you know, it

1 didn't start -- capacity exempt status didn't start until
2 2006 in Maine. According to the data we have here,
3 October 2008 was the first recorded month. And, you see
4 only a total of eight customers are listed. So, maybe
5 it's a finite -- and there are two classes without any
6 capacity exempt customers as of that point, and then three
7 classes with one customer each, and then one class with
8 five customers. So, it could be somewhat isolated. So,
9 from an analysis standpoint, you might be able to piece
10 together some of the puzzle.

11 MR. WYATT: Rob and Lucretia, when did
12 Maine first unbundle and allow transportation? What year
13 was that? Was that 2000 --

14 MS. MacLENNAN: 2006, starting in
15 January.

16 MR. WYATT: Okay. And, at that point in
17 time -- excuse me. At that point in time, all
18 transportation load in Maine was capacity exempt, I
19 believe, is that correct?

20 MS. MacLENNAN: Prior -- prior to that
21 date, we had no capacity assignment policy.

22 MR. WYATT: Right. So, --

23 MS. MacLENNAN: But there was no
24 grandfathering of that --

1 MR. WYATT: No, no, no.

2 MS. MacLENNAN: Yes.

3 MR. WYATT: You didn't refer to it as
4 "grandfathering". But they were, in essence, capacity
5 exempt. They weren't assigned capacity.

6 MS. MacLENNAN: Right.

7 MR. WYATT: But they were billed for the
8 delivery portion of their bill from Northern billing
9 systems. So, the data should be available on, if you have
10 billing records, on the -- all of that load would have
11 been "capacity exempt" at the start, until after the
12 docket where you developed your delivery service terms in
13 the tariff.

14 MS. MacLENNAN: But is the point of your
15 analysis, though, to know the proportion of customers,
16 transportation customers that fall into the "capacity
17 assigned" versus "non-capacity assigned" or going from the
18 point in time after which Maine had a policy?

19 MR. WYATT: Well, the Company's filing
20 has different categories. They have "total load", which
21 includes capacity exempt and capacity assigned. And,
22 then, they have "planning load", which excludes capacity
23 exempt.

24 MS. SMITH: And, for Maine, would

1 include only 50 percent of the capacity assigned.

2 MR. SIMPSON: There's really two
3 categories, I think of there being two categories of
4 transportation customers in Maine. One is the customers
5 that were taking transportation service before the
6 resolution of this issue. And, those customers are
7 subject to the 50 Percent Rule. And, then, there's new
8 customers that first received service from Northern after
9 that date, and they could opt out of the capacity
10 assignment. And, so, therefore, those customers,
11 100 percent of their volumes are capacity exempt. So,
12 when we have to look at Maine, we have to keep -- think of
13 these two categories, when we're developing the forecast
14 of capacity exempt and, by subtraction, the planning load.

15 MR. WYATT: Uh-huh.

16 MR. M. SIMMONS: I had a brief question
17 going to the DSM. And, that is, on ADR 1-19, and it's
18 really just more of a process question than a technical
19 question. But, in the response, it indicates that you've
20 asked for information from the Maine Efficiency Trust.
21 And, one, I wanted to find out if you received that yet?
22 And, then, the second part of that is that it states that
23 you haven't participated in the Triennial Plan process.
24 And, this summer, the Trust is starting their second

1 Triennial Plan. And, I was wondering if Northern had any
2 expectation to be involved in that process?

3 MR. FURINO: We're going to have to take
4 both of those requests back.

5 MR. M. SIMMONS: Okay.

6 MR. FURINO: And, I personally was
7 curious and wanted to know and had not yet found out
8 whether or not we -- Northern had been able to obtain data
9 from Maine Efficiency -- Efficiency Maine. So, that's
10 something we're definitely interested in follow-up on
11 that. And, as far as participating in the Triennial
12 Planning, we'll get back to you on that as well.

13 MR. M. SIMMONS: Okay. Thank you.

14 MR. McCLUSKEY: Anything else on demand
15 forecast?

16 MS. MacLENNAN: Yes. I have a
17 recollection, and I apologize for not having a reference,
18 but it may have been in the cost of gas case or a response
19 in this case. That indicated the growth for Northern
20 Maine Division was well in excess of the 2 percent
21 planning benchmark. And, I wonder if, first of all, you
22 can point us to, if it is a response in this case, if you
23 could point us to it, it might help. But, then, also if
24 you could discuss, and I'm obviously not one of the

1 technical people here, why or what relevance, how you
2 would incorporate that or whether you incorporated that
3 into your thinking about developing the load growth
4 metric? Is my question clear?

5 MR. SIMPSON: I wouldn't mind a second
6 try.

7 MS. MacLENNAN: All right. It appears
8 to us, through data that's come in from the Company, that
9 Maine at least has sustained a rate of growth recently
10 that's well in excess of the 2 percent planning assumption
11 that you've used. And, I'd like to know more about
12 whether the Company took into consideration the actual
13 growth, recent growth in the Maine Division, or not, or
14 how it did so?

15 MR. SIMPSON: Yes. I'll try to be as
16 concrete and specific as I can. But, you know, some of
17 this just deals with the models and how the models work.
18 But, for part of my response, let me say that the models
19 certainly look at and take into account all the historical
20 data that we use. And, so, to the extent that an uptick
21 in growth is reflected in the historical data, then that
22 will get picked up by the model. And, particularly, if
23 there's things going on that seem to indicate that there's
24 some new basis for customer response, that -- and that the

1 statistical relationships that we had developed over a
2 period of time seem to be changing in the recent history,
3 we're very mindful of that. You know, I mean, there's
4 just amazing things going on in the gas industry right
5 now. So, we're specifically looking at the recent
6 history, to make sure that our models fit well with the
7 recent historical data.

8 But, still, we understand, based on
9 talking with the Company, that -- that what they have been
10 experiencing, in terms of added customers, added load, in
11 recent times is just sort of phenomenal, and is beyond
12 what we have seen in historical data. And, that really is
13 the primary basis for the marketing adjustment.

14 And, might I add that we do this kind of
15 demand forecasting for other gas utilities, mostly in
16 Massachusetts, and they are seeing the same things.
17 They're seeing that -- that there's been a recent
18 additional burst of added load of new customers that is
19 sort of beyond anything in the historical period. And,
20 that's despite the fact that, in the recent history, that
21 we have seen the same sort of conditions that are
22 favorable to added customers, added gas load. It just
23 seems to be that customer responsiveness to the price
24 differential between gas and oil is picking up. It's as

1 though people are accepting that this gap is here to stay
2 for at least a while. And, oil customers have accepted
3 the fact that they have missed out on the benefits of
4 switching to oil for the past couple of years, even though
5 all the signs pointed to that being an okay decision, and
6 they don't want to perpetuate, you know, their inertia.
7 They're going to switch to natural gas. So, that's the
8 basis for the marketing adjustment.

9 Did any of that get at what you were
10 focusing on?

11 MS. MacLENNAN: Well, it did, except I
12 still have a bit of a question about the degree to which
13 that recent information would be reflected in the metric
14 of the model. Is it the case that the Company believes
15 it's -- I think you used the word "phenomenal", I'm
16 wondering if the subtext there is "anomalous", that this
17 is an anomalous situation, and, therefore, it's best to
18 smooth it out and use a historic -- a more historic trend,
19 rather than the more recent data, to project load going
20 forward?

21 MR. SIMPSON: Okay. I'll try this one.
22 That the model looks at historical data, and tries to make
23 sense of the historical data and the changes in the
24 historical data by adding in factors, like the price of

1 natural gas, adding in factors like the increase in
2 population, in some measure of increase in population, as
3 that would affect customers, the number of customers that
4 Northern has on the system. And, you know, we try
5 different -- different kinds of variables to capture that
6 effect. We try the number of households, we try the
7 number of construction in houses -- house -- new
8 construction households completed. You know, we try a
9 number of different variables, all to see what matches up
10 the best.

11 And, then, as far as the model goes, you
12 know, it tries to -- we have tried to find the best
13 variables that explain what's going on in the historical
14 period, and then were -- we rely upon the vendor that we
15 have purchased this data from, and the forecast that they
16 make for all of these variables. You know, so, to the
17 extent that the vendor has an optimistic view, generally,
18 of what's going on in the economy in New Hampshire and the
19 economy in Maine, then that's what's reflected for the
20 base -- the base forecast, before adding in the marketing
21 adjustment.

22 Let me make one other observation.
23 Which is that, when we're talking about and hearing of
24 news reports and just general understanding of load

1 additions that are occurring, because customers are
2 converting from oil to natural gas, keep in mind that the
3 existing customers, the customers before these new
4 customers switch, their consumption behavior isn't static.
5 We seem to capture, in the historic data, reactions to the
6 customers and their customer -- the customer behavior.
7 And, so, as the existing customer base adds to the energy
8 efficiency measures in their house, you know, the demand
9 level of the existing customers, to which, you know, these
10 new customer loads are added on, is -- it's all factored
11 together. So, when we hear that the -- that the customer
12 conversions, people switching from oil, is going to lead
13 to an increase in demand of, you know, so many units, that
14 doesn't -- that doesn't translate into that kind of
15 increase in the total demand, because offsetting that is
16 somewhat energy conservation and other customer reactions.

17 MS. MacLENNAN: And, then, let me just
18 focus you on the Maine Division, to see what marketing
19 adjustment you may have made for the Cast Iron Program.
20 If you could describe what you considered and what you
21 ended up doing as a result of that, customer additions in
22 that program?

23 MR. SIMPSON: We think that the detail
24 of the marketing program has been provided in one of the

1 responses. We did not receive that response, because it
2 was -- it was confidential. So, I think you people have
3 that response. And, you know, obviously, at the time that
4 we were developing the forecasts, we were -- we were in
5 that spreadsheet, and we were using it. But, you know,
6 just we -- what you have been provided, we don't have a
7 copy of. And, I think, amongst -- amongst all of us, we
8 could probably walk through the spreadsheet, since it's
9 been a while since we've worked with it, it may be a
10 little clunky for us to do it. Where, you know, it may
11 take us some time to refresh our memory on it on how
12 things work. But I know that, specifically, there was
13 reflected in the marketing program, right? Yes. I mean,
14 we seem to recall that the Cast Iron Replacement Program
15 was specifically reflected, but we just don't have the
16 details.

17 MS. MacLENNAN: Okay. Well, I think
18 there may be other, maybe the Public Advocate will have
19 questions on this as well?

20 MR. JORTNER: One question, just to
21 follow up. One of the barriers toward conversion from oil
22 to gas is the cost, that many people can't afford to
23 convert their --

24 (Court reporter interruption.)

1 MR. JORTNER: The conversion of oil to
2 gas, by converting heating systems or burners. And,
3 Northern used to be in the business of promoting those
4 things; it's not anymore. But couldn't that have a large
5 effect on the forecast, if there was some low income loan
6 program or some other type of incentive program to
7 encourage those conversions, couldn't that vastly increase
8 the number of conversions and affect the forecast?

9 MR. FURINO: You know, I think I could
10 maybe just make a few general comments about the marketing
11 adjustment. Wayne, I don't have the specifics on what
12 particular programs the Company might have available. I
13 understand that the Company is interested in trying to
14 maximize customer conversion. So, you know, at a minimum,
15 we're doing what we can. I think the local constraint is
16 the construction that we can accomplish during the
17 construction season.

18 So, as I understand it, there is a list
19 of customers that are waiting to be signed up. And, it's
20 a question of "how close they are to the main?" "Are they
21 on the main?" "Does it involve a conversion?" We are
22 trying to convert non-heating customers to heat, which
23 requires that kind of investment. And, exactly what type
24 of programs we're offering, I'm not -- I can't speak to

1 it, but we can look back.

2 More generally, in terms of the
3 marketing adjustment, there are really five types of
4 marketing initiatives that were looked at. One of the
5 pieces was to try to add new on-the-main customers, so,
6 increase saturation. So, the saturation rate I believe in
7 New Hampshire is a little over 50 percent; it's a little
8 under 50 percent in Maine. And, the goal that we have
9 reflected in the marketing adjustment is to increase that
10 percentage by -- or, to gain one percent annually of
11 what's available on the main. So, that's one, is
12 on-the-main saturation.

13 Another piece is assumptions related to
14 increasing use among low-use customers. So, that's the
15 customers where we're trying to convert non-heat customers
16 to heat. And, if you saw the handout that Jim sent
17 around, you saw that the residential non-heat for the
18 marketing adjustment has negative values, and the
19 residential heat has positive values. So, that reflects
20 that. The target is to try to get 3 percent of those
21 low-use customers to increase their usage. Okay?

22 The third piece is to try to reactivate
23 inactive accounts. So, we've looked out and defined a set
24 of inactive accounts. And, among those, we're targeting

1 10 percent, is what's reflected annually. So, whatever
2 that amount is, 10 percent of that is an assumption that's
3 flowing into the marketing adjustment.

4 Another piece of it, which may not seem
5 as overt, but is to retain -- improve the retention of
6 existing customers. So, we look at our annual "customer
7 loss rate", "defection rate", whatever you want to call
8 it, and, you know, trying to reduce that rate, cut that
9 rate in half was the goal. So, in that case, you don't
10 really see customers being added, but you're not seeing
11 customers leave the system. So, that's another aspect.

12 MS. MacLENNAN: Rob?

13 MR. FURINO: And, I think, historically,
14 I think the Company has made investment to attract new
15 customers. And, so, it's longer term, sort of before the
16 witnessed boom cycle, you know, we have a marketing group
17 that will go out and say "Hey, we've documented that we've
18 installed, you know, X number of customers that have
19 expected, you know, Y annual loads." And, then, we
20 compare it to the facts and say "well, you know, you
21 didn't really see that." Well, one of the reasons is
22 because we've also lost a couple big accounts. We've lost
23 a couple other accounts. So, it's to try to cut down on
24 that shrinkage.

1 I'm sorry. Carol, you had a question?

2 MS. MacLENNAN: I'm sorry. I just
3 wanted to clarify that the marketing plan that you're
4 referring to, is that the same as was provided to us in
5 the rate case? And, if so, I thought I would mention that
6 I do have Attachment ADR 9-1 in the Maine Commission
7 Northern or Unitil rate case, Docket 2011-92, which
8 provides a summary of the plan and would seem to track
9 what you were reciting for objectives.

10 MR. FURINO: Yes. And, I can't confirm,
11 because I haven't reviewed the discovery in that.

12 MS. MacLENNAN: Right.

13 MR. FURINO: And, I was probably behind
14 some of that discovery, but not that particular response.
15 So, it could well be that it's that same plan.

16 MS. MacLENNAN: All right.

17 MR. FURINO: And, those metrics were
18 laid out. And, those are what are feeding into the
19 spreadsheet that we've been referencing to. And, if you
20 follow on that, the fifth and final piece of that was to
21 seek profitable off-the-main opportunities. And, you
22 know, as we couch it, to try to target 100 percent of
23 what's available that's profitable off the main, and I
24 guess what I'd call a "rule of thumb" value, trying to get

1 three large projects annually. But all of that is
2 constrained by our ability to actually do the construction
3 and get it, you know, get the work done, and customers in
4 place before the construction season ends.

5 And, as far as cast iron replacement
6 goes, yes, it is definitely a major part of assumptions
7 that are related to the on-the-main aspect of this.

8 MS. MacLENNAN: Okay.

9 MR. FURINO: I thought maybe we could
10 look at Tables III-2 and III-3, which show the summary
11 data we were looking at earlier, in terms of planning
12 load. And, again, if you look at the total values -- it's
13 on Page III-12. If you look at the subtotals, where you
14 see on each, I think it's the third column in with data,
15 "SUBTOTAL". It's residential/C&I subtotal. I would call
16 that the "statistical forecast result". And, for Maine,
17 which is on top, Table II, it's 0.3 percent annual growth.
18 For New Hampshire, on the bottom, it's 1.2 percent annual
19 growth. And, then, you've got all these adjustments.
20 And, so, as Jim was saying, you've got energy efficiency,
21 which is reducing sales growth; marketing adjustment,
22 which is increasing sales growth. And, again, this is the
23 planning load component of the marketing adjustment, and
24 the energy efficiency, frankly. There is other energy

1 efficiency and marketing sales increases,
2 marketing-related sales increases that are occurring.
3 But, if you take these and go over to the, you know,
4 right-hand most column, you see that the Maine planning
5 load is projected to grow at 1.5 percent, versus the
6 0.3 percent, which was the sort of statistical model
7 output. And, I'd probably suggest, so the delta between
8 those is 0 -- well, 1.2. And, you know, part of that is
9 offset by the reduction in sales due to the energy
10 efficiency. So, if it wasn't for that, perhaps the
11 marketing adjustment on its own might be higher than
12 1.5 percent itself. So, that's really the level of
13 expected new load that we've modeled into the forecast.

14 MS. MacLENNAN: Could I ask on this
15 schedule -- or, rather, Table III-2, it shows the Maine
16 "Company Use" quantities as "7,141", and the New Hampshire
17 "Company Use" quantity as only "631". Could you explain
18 why that would be -- why there is such a large difference,
19 particularly considering that Unitil's Maine offices are
20 in New Hampshire?

21 MR. FURINO: Well, for one thing, we
22 did, during this process, learn that we had, I don't know
23 if it was an error, there was a period of time, and we've
24 submitted a revised response to one of our --

1 MS. MacLENNAN: Oh, I'm sorry.

2 MR. FURINO: It may have been Staff 1-3,

3 --

4 MS. MacLENNAN: Okay.

5 MR. FURINO: -- in the New Hampshire
6 side. Where, essentially, some -- a key piece of data was
7 not being collected for a period of time, and then was
8 reported sort of all at once, which jumped out of the page
9 for Staff, and they brought it to our attention.

10 MS. MacLENNAN: Would that be Staff 1-6?

11 MR. FURINO: Well, actually, we did do
12 -- so, actually, in Staff 2-5, we were asked a follow-up
13 to Staff 1-3. And, in the response to 2-5, we provided a
14 corrected page for the New Hampshire company use. And,
15 so, the company use forecast has increased for New
16 Hampshire, from I believe it was "631", to "1970",
17 "1,970". And, I'm going to guess that's still less than
18 what we had projected for --

19 MS. MacLENNAN: Yes. Thank you. And,
20 can you explain why there would be such a big difference
21 between the jurisdictions?

22 MR. FURINO: So, Carol, as I understand
23 it, --

24 MS. MacLENNAN: Yes.

1 MR. FURINO: -- the Cotton Road Gate
2 Station and the LNG facility both involve heat exchangers
3 that, you know, consume gas, utilize gas. And, so, those
4 numbers are higher. And, at this point, I don't -- those
5 numbers are -- those are measures that are not allocated
6 to the divisions.

7 MS. MacLENNAN: Shouldn't they be,
8 though? Oh, no. I thought the LNG was considered a
9 peaking unit for both in the resource plan?

10 MR. WELLS: So, the sendout on -- so,
11 the cost of any gas purchase that flows through Lewiston,
12 the Cotton Road Station, or the Lewiston LNG plant are
13 allocated. However, the Company use that is measured at
14 those stations is Maine -- is accounted for as Maine
15 company use.

16 MS. MacLENNAN: Okay. That seems to me
17 to be illogical, given that it's part of the function of
18 the units.

19 MR. WELLS: I can only state what it is
20 that we are doing. I mean, this is, you know, this was
21 the practice that had been in place when we acquired the
22 Company. You know, I don't know what, if any, vetting of
23 the accounting for company use had. I would only note
24 that, to the extent we said, you know, theoretically, "you

1 know, we should allocate some company use between the two
2 divisions, because it pertains to gas supply", it would
3 seem as though that would create some sort of an iterative
4 process for the calculation of the variable allocator.
5 Because it's a volumetric allocator, so you would have to
6 allocate it, and then that allocation would affect the
7 variable allocator. I mean, I don't know if that -- I'm
8 having a difficult time articulating this concept. But,
9 right now, what we do is we have measured company use for
10 both Maine and New Hampshire that affect the -- you know,
11 so we basically add it all up and divide by the total to
12 come up with each state's allocator. If we had company
13 use, which is part of the -- you know, it is, in essence,
14 an independent variable on the variable allocator itself,
15 if some of that had to be allocated, it seems as though
16 there would be some changes to the variable allocator that
17 would need to occur in order to accomplish that.

18 MS. MacLENNAN: But there's a component
19 of O&M in the Maine CGA, is there not, for gas supply?

20 MR. WELLS: You mean, for the --
21 pertaining to the -- yes, there is a component of O&M in
22 the cost of gas that pertains to the operations and
23 maintenance of the LNG plant. That is correct. I don't
24 -- it's not, I mean, I don't -- now we're getting into

1 more of a ratemaking/rate case issue that I wasn't
2 necessarily involved in. But it seems to me that
3 "operations and maintenance" and "company use" could be
4 argued to be different, to be two different things.

5 MS. MacLENNAN: Yes. And, perhaps --
6 but what I think the question really is is "whether the
7 heat exchange function of the LNG plant is company use or
8 O&M for the LNG facility?"

9 MR. WELLS: I would agree that that
10 would be an issue that --

11 MS. MacLENNAN: Okay. Thank you.

12 MR. G. SIMMONS: I was just going to add
13 one thing. As I look at this table here on III-12, it is
14 a load-related table. And, so, my thought is, is that,
15 you know, the Company use, putting aside the allocation of
16 the cost, --

17 MS. MacLENNAN: Right.

18 MR. G. SIMMONS: -- it does appear that
19 that "7,141" is consumed in Maine. And, so, for load
20 planning purposes, I guess, it should be included.
21 Whether or not it's in -- for cost purposes, whether or
22 not it should be in Maine or New Hampshire, that's
23 something different. But I think the presentation here I
24 think is okay.

1 MS. BARTOS: And, correct me if I'm --

2 MS. MacLENNAN: I see your point. And,
3 that's rational.

4 MR. G. SIMMONS: Okay.

5 MS. BARTOS: And, correct if I'm wrong,
6 but I think, from the SENDOUT modeling, Maine and New
7 Hampshire is added together for the planning purposes
8 anyway.

9 MR. G. SIMMONS: Yes.

10 MS. BARTOS: So, whether this appears in
11 the Maine table or the New Hampshire table, gets added
12 together --

13 MR. G. SIMMONS: That is correct.

14 MS. BARTOS: -- from a planning
15 perspective. Thanks.

16 MS. MacLENNAN: Yes. My brain does jump
17 to the rate effect fairly quickly.

18 MS. SMITH: Well, no, because that
19 answered, because my question was, again, how the cost
20 allocated, because I forget, you know, going through how
21 the costs are allocated, the company use, if it's all
22 combined together, then allocated out by probably the
23 variable allocator or the fixed allocator?

24 MR. WELLS: No, the company use affects

1 the allocator. So, the allocator is determined by sales
2 usage, plus company managed usage, plus company use usage,
3 for each of the two divisions. So, we take those two --
4 those three elements for each division, add that all
5 together, that gives us a total, and that ends up being
6 the basis for the variable allocator.

7 The only point I was making is that, if
8 we decided that there's some company use that gets
9 allocated between Maine and New Hampshire, then there's
10 almost a possibility of there being like a circular
11 reference, because it would be in the -- you know, both
12 the numerator and the denominator, if you will, or I guess
13 it would be both part of the, you know, the input and the
14 output. So, I mean, like I said, at this point --

15 MR. FURINO: Because it's volumetric,
16 and it's not in dollars.

17 MR. WELLS: Right.

18 MS. SMITH: Right. So, it's a fairly
19 small number, so, hopefully, it wouldn't change the
20 percentage too much. But, if more of the volume is
21 allocated to Maine, then, ultimately, more of the costs
22 are allocated to Maine. If you add 7,000 versus 1,600,
23 that's ultimately what happens. You know, if that's part
24 of the --

1 MR. WELLS: Yes.

2 MS. SMITH: Okay.

3 MR. ROSENKRANZ: Just so I can catch up,
4 is there one company use and loss factor for Northern
5 Utilities for both divisions or is there a separate
6 company use and loss factor for each division?

7 MR. WELLS: Separate for each division.

8 (Brief off-the record discussion ensued
9 regarding whether to take a recess.)

10 MR. McCLUSKEY: Carol, can I follow up
11 on the discussion that you had with Jim?

12 MS. MacLENNAN: Please.

13 MR. McCLUSKEY: Jim, when you were
14 talking about the competition between natural gas and oil,
15 it would seem to me that the -- that the primary factor
16 that separates the recent past from the current period on
17 that issue is the separation of the natural gas and oil
18 prices. In the fairly recent past, obviously, the prices
19 for the two fuels have gone up and down, but they've
20 generally tracked each other fairly closely. What's
21 happened over the last couple of years is that there has
22 been a major separation between oil and natural gas, which
23 is, obviously, affecting the retail competition between
24 the two fuels. Is that something that's reflected in the

1 model, directly or indirectly?

2 MR. SIMPSON: Nowadays, we always try to
3 include in our models a variable that reflects the
4 relative price of oil and gas. And, for some of our
5 clients, in some circumstances, in some rate classes, that
6 variable works, but not all the time. And, this is one of
7 those instances. And, when you think about it, there's a
8 lot of customer decisions that aren't really directly
9 based on a cold, analytical assessment of the variables of
10 the price of oil versus gas. You know, there's other
11 things factored in there that we just cannot include in
12 the model. And, it includes -- it includes, most of all,
13 people's perception of that price differential. And,
14 certainly, over time, people on one side are or the other,
15 you know, using gas or oil, have understood that the other
16 fuel might be more advantageous at that point in time, but
17 they sort of shrug their shoulders and say "it will all
18 even out in the end." And, generally, that is what has
19 happened. But, since about 2008 or so, there's been this
20 separation that has just not abated. And, so, I think
21 customers more and more are coming to that realization,
22 and that, you know, reflects -- that has to factor in
23 their own sense of risk aversion, the availability of
24 funds to make the conversion, all sorts of things, that

1 just can't be -- can't be modeled in. It's just too
2 complex for modeling purposes.

3 MR. McCLUSKEY: So, if I can just
4 finish. So, are you saying that it's not reflected in the
5 model? The relative price between oil and natural gas is
6 not reflected, is that what you're saying?

7 MR. SIMPSON: We tried. We could not
8 get those variables to stick in the Northern Utilities'
9 models, correct.

10 MR. McCLUSKEY: Thank you.

11 MR. JORTNER: And, I guess what I was
12 trying to get at before was, that because of this new
13 reality, this new separation, which seems
14 well-established, and not so transitory as prices used to
15 be, doesn't the Company have it within its control to sort
16 of effect that new reality, the mindset of customers, and
17 take affirmative steps to reduce the barriers to
18 conversion? I mean, the Company can decide that, as it
19 used to do, but no longer does.

20 MR. SIMPSON: You know, I'll defer to
21 Rob, but one of the points that we see with all of our
22 clients is that a real constraint that they have to
23 operate under is that the construction crews available in
24 their service territory have limited capacity. I mean,

1 they can go as hard as they can during the period that the
2 streets are open, that gas utilities can put in new
3 services. And that, amazingly, in this day and time, is
4 one of the important constraints that is holding back, you
5 know, the number of customers that can be converted at any
6 particular point in time. But I defer to Rob.

7 MR. FURINO: Yes. No. That's
8 consistent. And, you know, just following up on, George,
9 some of your points. I think it's more than just price.
10 I mean, I think, for the first time, customers are really
11 getting the message. We're seeing on the news, seeing in
12 the paper that, you know, this is a domestic supply. You
13 know, what's that? That's just different than what we
14 have been told over the last 30 years, and where oil, the
15 international aspects of the oil market are being. And,
16 also, that it's cleaner, burns cleaner and things like
17 that. And, what can I do to -- you know, if I had the
18 choice between the two, even if they were price neutral,
19 customers may be shifting to where they would favor
20 natural gas over oil for that reason. So, it's a little
21 more dynamic, I think, than just price. But I don't know
22 how you model that, you know, in a statistical model.

23 MR. ROSENKRANZ: Just one question. I
24 think this would be for Jim Simpson. In your experience

1 of working with other utilities, is this type of
2 out-of-the-model marketing adjustment something that you
3 do commonly? Is this larger or a normal-sized adjustment
4 relative to what you've had to do in other cases to make
5 up for things that aren't being captured in the
6 econometrics?

7 MR. SIMPSON: I can say that our clients
8 are considering it. And, some are considering it, you
9 know, to the extent that they want to make marketing
10 adjustments. Most of our work -- most of our work is in
11 Massachusetts, for Massachusetts LDCs. And, Massachusetts
12 LDCs have to work under a very restrictive set of rules,
13 in terms of how they develop a forecast for IRP purposes.
14 And, I think it's fair to say that there's a certain
15 reluctance amongst our clients to produce an out-of-market
16 -- an out-of-model marketing adjustment, such as this,
17 just because the regulatory scrutiny is not worth it.

18 MR. ROSENKRANZ: Well, hasn't the
19 Massachusetts Commission just come out and said "no, you
20 won't do this", in some cases?

21 MR. SIMPSON: Yeah. I don't think it's
22 been tested under these conditions. But, certainly, the
23 Department has said that they don't want utilities to rely
24 on the Sales and Marketing Departments to, in effect,

1 create the forecast for the first year or the first couple
2 years. But this is -- this is more of a recognizable
3 phenomenon. But, still, nonetheless, I think that in that
4 sort of climate, Massachusetts utilities are reluctant to
5 expend the effort and the additional regulatory
6 complications of dealing with an IRP that has a marketing
7 plan. I think -- I think that conditions are changing in
8 Massachusetts. I think that you might start to see more
9 Massachusetts LDCs considering and maybe including
10 out-of-model marketing adjustments.

11 MR. ROSENKRANZ: Thank you.

12 MR. EPLER: Let me also respond to a
13 couple of things that Wayne said. One is, in terms of
14 what's within the range of what the Company can do. The
15 Company, this year, took advantage of the change in
16 weather, and had its crews out and contractors out earlier
17 than the most recent historical period, in terms of
18 actually doing construction. So, we have responded and we
19 saw that as an opportunity.

20 The other thing is just a consideration
21 to think about, in terms of the kinds of programs that you
22 were mentioning, is there's a lot of other business
23 considerations that are taken into account in looking at
24 programs like that. Such as, when customers move in and

1 out of a particular location that you're looking to invest
2 in an upgrade that may have a long payback, and so on.
3 You know, who pays for that? Who's responsible for that?

4 So, there are just -- there are
5 complications in that. That it's not just a simple, you
6 know, "can you get the customer to change and increase
7 their load?" There's other business-type considerations
8 and risks involved in making those kinds of decisions.

9 MR. PATNAUDE: Just a five-minute break?

10 MR. EPLER: Sure.

11 (Whereupon a recess was taken at 11:29
12 a.m. and the Joint Technical Conference
13 resumed at hearing reconvened at 11:43
14 a.m.)

15 MR. FURINO: Back on.

16 MR. McCLUSKEY: Okay?

17 MR. FURINO: Yes. Thank you.

18 MR. McCLUSKEY: We're going to switch
19 topics now. I've got a couple of questions about the
20 exchange agreement. And, I want to start with the
21 response to Staff 14. And, I will say that a lot of my
22 questions today, well, probably all could see them in the
23 written discovery that was issued yesterday. We'll get
24 the formal response in the discovery, but I'd still like

1 to have a little bit of back-and-forth on the issue, which
2 the tech session provides, and we don't really get that
3 opportunity through the formal discovery. But 2-14, and,
4 in particular, the response to Part (c). Do you have
5 that?

6 MR. GULLIVER: Yes.

7 MR. FURINO: Yes, we do. Thanks.

8 MR. McCLUSKEY: You do? Okay. The
9 question was, "what supply sources were delivered to Bay
10 State by Northern on a daily basis for the two years
11 referenced in the question?" And, the Company -- the
12 first sentence to the response, "Northern does not have
13 detail on which supplier resource were delivered to Bay
14 State each day." Which, frankly, blew me away. So, the
15 Company is saying that it doesn't know what resources are
16 being delivered? What Northern's resources are being
17 delivered to Bay State on a daily basis?

18 MR. FURINO: Well, I think we're telling
19 you which supplies we've delivered. What we don't have is
20 we -- all of our monthly supply invoices are by -- we pay
21 them to each of our suppliers, and we don't summarize them
22 or we haven't set up the ability to summarize them by the
23 delivery points at which we receive them. So, to
24 accurately respond on a day-to-day basis. We just haven't

1 structured our data that way. Mind you, we don't make any
2 payments to Bay State. We're paying our other suppliers.

3 MR. McCLUSKEY: I understand.

4 MR. FURINO: And, so, we're validating
5 that we did, in fact, receive each day the quantities that
6 we received from each of those suppliers, but we just
7 don't -- we don't track and report by delivery point, by
8 our receipt point. That's the only disconnect.

9 MR. McCLUSKEY: So, back up a little.
10 You said -- I think you said, by delivery point, you can
11 determine what was received by receipt -- by delivery
12 point -- sorry, not "receipt point", by delivery point you
13 can determine what's received each day, is that correct?
14 You know that?

15 MR. WELLS: So, what we did in order to
16 respond volumetrically to this is we went back to
17 communications between Northern and Bay State on volumes
18 that were agreed to. And, Ann, if I misspeak, please,
19 please feel free to correct me. But what we don't -- what
20 we don't track, and, frankly, we've never really tracked
21 is, you know, exactly what supply we use to supply at Bay
22 State.

23 Now, some of that is because due to the
24 fact that supplies can be interchangeable. Within a given

1 month, we can be taking the same supply either to Bay
2 State or to Pleasant Street. And, so, we frankly don't
3 keep track of these types of mid month changes. So, you
4 know, I wish that, you know, I wish I could tell you that
5 we track this stuff on, you know, give you at any level of
6 data that you'd like. But I want to assure you that we
7 are tracking our, you know, our gas supply costs in an
8 appropriate manner, even though we can't reply to this
9 particular data request in the manner that you requested.

10 Now, I would say that, if really
11 pressed, you know, we could go back invoice-by-invoice
12 over this period and try to retrodetermine, you know, what
13 we ultimately used, each supply contract, in order to
14 either bring deliveries to Bay State or bring deliveries
15 to Pleasant Street, or, for that matter, to any other
16 point. You know, some of this gas -- so, really, when we
17 buy gas, there are really three things that can happen
18 with it. One, is that the gas gets delivered to, you
19 know, Granite, for ultimate delivery to Northern. Two,
20 the gas could be exchanged with Bay State, in which case
21 Bay State would ultimately bring an equivalent amount of
22 supply to Northern. The third thing is we could just sell
23 it off-system. And, so, we don't really track, you know,
24 each molecule back to its supply source. And, so, our

1 accounting systems and our reporting systems and our
2 tracking are just not set up to that level of detail.

3 Like I said, if really pressed, it isn't
4 as though we couldn't look at an invoice and tell you
5 what, you know, what we used that gas for. By going back,
6 by trying to sort of go back through our records and come
7 up with something that's either correct or very darn close
8 to correct.

9 So, I got to say, you know, if this is a
10 level of reporting that you'd like to see going forward,
11 you know, maybe we can work to see what we can do in order
12 to support that kind of reporting. But it hasn't been
13 what we have done in the past. And, so, that is really
14 the nature of the why we responded in the way we did.

15 MR. McCLUSKEY: Okay. Let me try it
16 this way.

17 MR. G. SIMMONS: Tell me if this is a
18 valid example. There's going to be long haul gas coming
19 up from the Gulf Coast on Tennessee, and then there's
20 going to be some gas coming in at Niagara on Tennessee.
21 And, so, what happens is is those two paths come together,
22 upstream of Massachusetts, I believe that's where they
23 come together, and then both supplies go by, let's say,
24 Mendon. I think Mendon is where we dump gas for Bay

1 State.

2 MS. HARTIGAN: We make deliveries to
3 Mendon, which is the interconnect between Algonquin and
4 Tennessee Zone 6, and that gas is transported --

5 MR. G. SIMMONS: And, so, some of the
6 commingled gas of two supplies gets dropped off there, and
7 then the rest of it goes up to, let's say, Pleasant
8 Street. And, so, I think what we're saying is, is we're
9 not in the habit of saying 400 of one and 600 of the other
10 went to Mendon, and then the remainder went up to Pleasant
11 Street. I think that's what I'm saying to you.

12 MR. McCLUSKEY: That was not the intent
13 of my question. I understand that there's a daily
14 nomination that applies to both Northern receipts and Bay
15 State receipts. And, I think what you're saying is, "we
16 don't really care where the gas comes from, as long as
17 those nominations are satisfied." And, so, I wasn't --
18 the purpose of my question was not "are you tracking the
19 molecules?" We were asking, in order to fill that
20 nomination, presumably you have certain contracts
21 dispatched in order to ensure that that quantity is going
22 to be delivered to Bay State. Presumably, that's what you
23 do, is that correct?

24 MS. HARTIGAN: Yes. Every month,

1 basically, depending on what the season is, you know, when
2 I set up the gas plan, I do have specific supply that I
3 use to fulfill my end of the exchange. In the winter,
4 there are certain asset management deals, certain pieces
5 that are baseloaded for the whole winter to fulfill the
6 exchange. The Chicago path, the Algonquin Gas, that's
7 baseloaded. Those costs would be fairly easy for us to
8 track, because, that's, you know, the cost of the Chicago
9 city gate, plus variables, to either Tennessee or to
10 Algonquin.

11 In the winter, sometimes we will
12 increase, you know, increase or decrease, but usually we
13 try to baseload the volumes. In addition to
14 transportation contracts that we have, spot gas might be
15 purchased, you know, and things can change throughout the
16 month.

17 So, to say that we can't provide the
18 costs, you know, we can provide some of the costs, which
19 -- very easily, you know, because they're very
20 straightforward in an RFP how the gas will be delivered.
21 It would probably be getting down to the granularity of
22 when spot purchases are made for incremental volumes, that
23 type of thing, that we'd have to dig into deeper.

24 MR. WELLS: Right. You know, the other,

1 I mean, from an accounting aspect, you know, we don't
2 track, you know, separately gas that went to the exchange
3 versus gas that went to just general system use versus gas
4 that went to back wholesale purchases. So, you know, I
5 think, when we say, you know, something to the effect of
6 "we don't" -- you know, "we're not tracking it", it
7 doesn't mean that we couldn't, you know, come up with
8 some, like Ann said, it isn't that we have no data, we
9 just don't have, you know, complete data by day, as the
10 request, you know, was phrased.

11 So, I mean, can we -- I mean, can we
12 agree to -- because there are certain supplies that
13 generally, like Ann had mentioned, the Chicago that comes
14 in through Algonquin, they're generally exchanged with Bay
15 State. You know, as everyone, I think, here by now knows,
16 you know, we have no city gates on Algonquin. So, all of
17 those flows are going to be exchanged. So, to the extent
18 that we have like baseload volumes that are easily
19 identifiable as having been delivered to the exchange,
20 would that be satisfactory towards, you know, being
21 responsive to that request?

22 MR. McCLUSKEY: It might be best for us
23 to just have the conversation about the exchange
24 agreement, and we can then determine what it is we'd like

1 you to respond to, after we've had that conversation.

2 MR. WELLS: That's fine.

3 MR. McCLUSKEY: So, put the question on
4 hold for a moment, and we'll just continue the discussion.
5 Bob, I think, had something.

6 MR. WYATT: I think what we were looking
7 for, from my standpoint, is you have the portfolio of
8 pipeline capacity contracts. And, many of these contracts
9 have multiple delivery points, including delivery points
10 to Bay State city gates. Some are exclusive delivery
11 points to Bay State city gates, and others are exclusive
12 to Northern delivery points. We're trying to get our arms
13 around how the Bay State Exchange Agreement works in
14 relation to these contracts. For instance, what's your
15 utilization of these contracts? You know, this is an
16 exercise where we're evaluating the contracts and what you
17 need for resources. And, we don't see the level of detail
18 of how these contracts are being utilized. Another
19 example would be, we're not sure how much of your Northern
20 capacity on Tennessee you may be delivering on a secondary
21 basis to Bay State city gates. Diverting some of your
22 Northern resources to Bay State.

23 We have a lot of questions. We don't
24 know any detail as to what gas is flowing to Bay State on

1 which contracts. And, that's important information for us
2 to see how these contracts are being utilized. It's not
3 so much the supply resource itself, it's the capacity,
4 pipeline capacity resource.

5 MR. McCLUSKEY: Let me see if I can
6 explain our concern, which is difficult when you don't
7 fully understand the issue, which I would be the first one
8 to admit. So, we're kind of taking small steps for the
9 moment on the Exchange Agreement. But the nominated
10 amount, which is agreed on a daily basis, applies to both
11 Bay State and Northern. So, it seems to me, in effect, we
12 could view this nominated amount as part of Northern's
13 total requirements. Because, if it's not met with
14 Northern resources, it's going to be met with Bay State's
15 resources. So, from a volume standpoint. So, the concern
16 -- so, this portion of the total daily requirements for
17 Northern will be met by the Company dispatching some of
18 its supply resources. And, so, the issue to us is, "okay,
19 is it being dispatched economically? Are you using your
20 resources in a way that minimizes the total costs for
21 Northern?" And, so, without the -- without the Exchange
22 Agreement, that's what the investigation would be.
23 Northern has a set of resources. Is it dispatching them
24 each day in order to minimize gas costs? It seems to me

1 the Exchange Agreement just complicates that issue. But,
2 if we can imagine that, so, we have the Exchange
3 Agreement, does -- I think what we're asking ourselves is,
4 does the Exchange Agreement limit the Company's ability to
5 dispatch some of the resources that it has? Does it limit
6 its ability to dispatch some of the low-cost resources?
7 So, if you could just address that question.

8 MR. FURINO: I can just jump in early.
9 I'll let Fran and Ann come in with details. But, you
10 know, I think we've signaled a couple of times in
11 discovery that the Exchange Agreement allows Northern to
12 utilize its most cost-effective resources. At this point
13 in time, we're trading Tennessee Gas, Tennessee delivered
14 gas, utilizing our Tennessee capacity. And, in exchange,
15 we're getting Portland delivered gas. You know, the gas
16 that we're providing to Bay State has been less expensive
17 reasonably than the gas we're receiving from Portland,
18 that -- from Bay State via Portland. We don't -- we're
19 not into this agreement with the expectation that there's
20 going to be a long-term persistent, one-way advantage that
21 one party is always going to be beating another in terms
22 of average delivered cost to the other party's respective
23 system.

24 I think it's, you know, as we've

1 described, the exchange allows us each to deliver supplies
2 to one another's respective systems that are upstream of
3 our own respective systems. So, we use less capacity, we
4 retain more capacity to use in other ways. And, I think
5 one of the questions that came through last night was
6 "what does the word "segment" mean?" And, "how do you
7 segment?" You know, maybe Ann can talk a little bit about
8 how we can do that, and the Exchange Agreement maybe
9 preserves our ability to do that a little bit.

10 You know, if at some point in time the
11 Exchange Agreement gets to the point where it is, on a
12 long-term basis, is lopsided, where one party is
13 advantaged over the other, it might be the end of the
14 Exchange Agreement, you know, from a longer term
15 perspective.

16 And, I think we did respond in terms of,
17 you know, "what would we do without the Exchange
18 Agreement?" We do have an enabling agreement, a NAESB
19 Master Agreement with Bay State that, you know, we could
20 buy and sell, respectively, volumes outside of the
21 Exchange Agreement, you know, so that there's alternatives
22 there.

23 MR. McCLUSKEY: Rob, but we've never
24 made the -- we've never suggested that the Exchange

1 Agreement is lopsided. In fact, my understanding is --
2 how it works is it can't be lopsided. My understanding is
3 that volumes, Northern's resources delivered to Bay State,
4 Northern gets the benefit of those low-cost resources.
5 Whereas, and higher cost resources delivered to Northern,
6 high cost Bay State resources delivered to Northern, Bay
7 State picks up those costs. Is that not correct?

8 MR. FURINO: Yes. That's correct.

9 MR. McCLUSKEY: That's correct. So, the
10 volumes delivered are the same on both systems. It's just
11 that the resources used to deliver them are different
12 cost. And, so, if Northern is actually using some of its
13 low-cost resources to deliver to Bay State, Northern is
14 receiving the benefit of those lower costs, okay?

15 (Mr. Furino nodding in the affirmative.)

16 MR. McCLUSKEY: And, Bay State is
17 getting the higher costs, so it should. That's part of
18 its portfolio. So, to me, there's no lopsidedness in the
19 Agreement. The issue is really just to do with the
20 nominations.

21 We're asking ourselves, if the nominated
22 amount that's agreed between the two parties is -- let's
23 say it's low, relative to other days. Does that limit
24 Northern's ability to dispatch some of its low-cost

1 resources? That's one question that we have. And, if
2 that's the case, wouldn't it be better to have direct
3 delivery of those low-cost resources to Granite State,
4 rather than to Bay State's delivery points? That's,
5 essentially, we haven't been articulating in our
6 questions, written and verbal, but that's what's behind
7 our scrutiny at the moment. Is there something in the
8 nature of this Agreement that limits the amount that can
9 be accessed by either party? Does that negatively impact
10 the party that happens to have the lowest cost resources?

11 MR. FURINO: Well, you know, and just at
12 a high level again, you know, and it's hard to think
13 outside of the structure of what, you know, I'm just, you
14 know, familiar with.

15 MR. McCLUSKEY: Well, maybe --

16 MR. FURINO: Yes.

17 MR. McCLUSKEY: -- your colleagues can
18 respond to that. If we could get a response to that,
19 that's kind of what's kind of needling away at us.

20 MR. FURINO: Yes. Well, what I was
21 going to say is that the volumes that we currently have in
22 the agreement, the 7,000 for the winter period, the 4,200
23 for the summer period, reflect resources that can be --
24 are essentially baseload -- baseloaded for the reason

1 that, you know, they can't require us to deliver less than
2 those volumes. And, those volumes reflect the resources
3 that are, you know, that we don't have primary capacity
4 for to Northern's system. So, in the first case, that's a
5 pretty good result. They can't require us to deliver more
6 than that.

7 MR. McCLUSKEY: Okay.

8 MR. FURINO: If the volumes are less
9 than that, well, we can always take the extra volumes up
10 to Granite State on a secondary basis, and it's not
11 constrained between the two points, two locations. So, we
12 can do that as well. So, that was -- one of the important
13 aspects is where we drew the line in terms of what the
14 minimum volumes were. And, as you see in the history, we
15 have, from time to time, both agreed, mutually agreed to
16 lower volumes.

17 Bob and Steve will recall a period
18 during the first year or two of the Exchange Agreement
19 where the rule -- we had not yet entered the Amendment
20 Number 1, which essentially meant that the party, at that
21 time, the party that nominated the higher volume would be
22 the approved volume.

23 MR. McCLUSKEY: Uh-huh.

24 MR. FURINO: And, so, at that time, we

1 were unable -- Northern was unable to get its Washington
2 10 storage. And, we had favorably priced Washington 10
3 storage, in Washington 10, and the volumes on the exchange
4 were so high that Bay State was delivering the bulk of our
5 requirements on the north side of our system, and we had
6 to go out and purchase market gas at that time, which was
7 more expensive, to deliver to Bay State. Now, that was a
8 timing difference. Summer injection prices versus winter
9 prices at that time. We did make off-system sales with
10 our Washington 10 gas to preserve that value. And, we
11 approached Bay State and sought that amendment, which
12 allowed that the -- changed it so that the lower
13 nomination required -- requested would be the prevailing
14 nomination. And, we also lowered the minimums or set the
15 minimums to 7,000 at the time. So, that's sort of a high
16 level.

17 MR. McCLUSKEY: Yes.

18 MR. FURINO: I can let you guys chime
19 in.

20 MR. McCLUSKEY: Could I just follow up
21 on your response?

22 MR. FURINO: Okay.

23 MR. McCLUSKEY: Because I think it was
24 -- it was responsive to my question. So, you seem to be

1 saying that, provided Northern could access these lower
2 cost resources, through a secondary firm, then there's no
3 harm to it as a result of the Exchange Agreement. If it
4 happens to be constrained, though, then that could be a
5 disadvantage to Northern. Currently, the way the Exchange
6 Agreement is set up, is that what you're saying?

7 MR. FURINO: Well, what I'm saying is
8 also I think that there's no restrictions that I'm aware
9 of between the systems. When we start talking about --
10 that's where I'm -- I will always differ to Ann in terms
11 of, you know, restrictions. And, I did see one of your
12 other questions last night, which was, and I think we've
13 had it before, but kind of talking to Tennessee about
14 moving --

15 MR. McCLUSKEY: Yes. Okay. The
16 delivery points. That's where we're going to go.

17 MR. FURINO: That's what Bob said to me.
18 Okay.

19 MR. McCLUSKEY: Okay.

20 MR. FURINO: And, we have talked to
21 Tennessee in the past about moving delivery points. We
22 did move a number of delivery points when we acquired
23 Northern from Bay State. So, there was a set of points
24 and volumes that were moved between Bay State contracts

1 and Northern contracts. We have also talked to them
2 probably within the last six to eight months about that as
3 well. Our primary issue with them was trying to regain or
4 gain ROFR rights on --

5 (Court reporter interruption.)

6 MR. FURINO: Yes. We're trying to gain
7 ROFR rights, that's a "Right of First Refusal". And, we
8 did get that just recently from Tennessee. But we -- I
9 guess I can let, you know, Ann talk about the details
10 about the delivery point conversation.

11 MR. WYATT: Before we just -- before we
12 go into Ann's explanation, just a clarifying point. On
13 the Bay State exchange, minimum and maximum -- or, the
14 maximum in the winter period, I believe you said was
15 "7,000", is that what it is? Or --

16 MR. FURINO: That's the minimum.

17 MR. WYATT: The minimum.

18 MR. McCLUSKEY: That's the minimum.

19 MR. WYATT: Seven thousand. And, what
20 is the capacity, I don't recall off the top of my head,
21 that Northern's -- Northern's pipeline capacity that goes
22 to Bay State city gates, if you added up all those MDQs,
23 what does that come to?

24 MR. ROSENKRANZ: It comes to 6,683.

1 MR. WYATT: It does?

2 MR. ROSENKRANZ: Yes.

3 MR. WYATT: Do you agree with that?

4 MR. ROSENKRANZ: Data Request OPA 1.4 --
5 1-4.

6 MS. HARTIGAN: That's the Tennessee
7 capacity, correct.

8 MR. ROSENKRANZ: The Tennessee capacity
9 that cannot be delivered to Pleasant Street?

10 MS. HARTIGAN: Well, it can be, just
11 it's just not.

12 MR. ROSENKRANZ: On a primary basis --

13 MS. HARTIGAN: That's correct.

14 (Court reporter interruption.)

15 MR. ROSENKRANZ: So, that -- that number
16 is the amount of Tennessee pipeline capacity that cannot
17 be delivered to Pleasant Street on a primary basis. It
18 has to be delivered to either Agawam, Lawrence, or Mendon?

19 MS. HARTIGAN: That is correct. If the
20 pipeline --

21 MR. ROSENKRANZ: Contractually.

22 MS. HARTIGAN: Contractually, yes. If
23 the pipeline was constrained in Zone 6 to the degree that
24 only primary-to-primary scheduled nominations would flow,

1 that would be correct. Northern would have to take
2 deliveries to the Bay State city gates.

3 MR. WYATT: Well, that -- let's step
4 back then. The 6,000 whatever --

5 MR. ROSENKRANZ: 6,683.

6 MR. WELLS: Okay. Yes.

7 MR. WYATT: To me, I thought the number
8 of MDQ added up was a number in excess of that for primary
9 delivery points to Bay State? Is that correct or am I
10 missing something? Because it sounds like what your
11 response was, secondary firm deliveries of some of these
12 contracts can get up to Pleasant Street. That's not what
13 I was asking.

14 MR. WELLS: No. Bob, so, basically, the
15 resources that are deliverable only on a primary firm
16 basis, only Bay State, are portions of the Niagara
17 capacity path, which, in total, is -- which those two
18 aspects are -- total 1,034 dekatherms, right, that's to
19 Lawrence. And, then, the other are portions of the
20 Chicago, the Chicago path. That includes 1,382 to Agawam,
21 and then it ends up being the -- and then there's the
22 4,211 that's Algonquin.

23 MS. HARTIGAN: That goes to Mendon.

24 MR. WELLS: That goes through Mendon,

1 that's correct.

2 MR. ROSENKRANZ: Could I -- I think
3 Bob's problem might have to do with the fact that the
4 delivery point MDQs exceed the total contract MDQs. So,
5 if you do it --

6 MR. WYATT: Yes.

7 MR. ROSENKRANZ: -- one way and you go
8 to the points, the Bay State points, and add that up,
9 you're going to get a larger number.

10 MR. WYATT: I understand that.

11 MR. ROSENKRANZ: What I did is, take the
12 total, and then subtract out the Pleasant Street, to get
13 the numbers that we were talking about.

14 MR. WYATT: And, that's why I asked MDQ,
15 contract MDQs, that are specific only to Bay State city
16 gates, rather than what used to be referred to "DQLs", or
17 "Daily Quantity Limits".

18 MR. ROSENKRANZ: Okay. So, the total
19 quantity that's deliverable on a primary basis to Bay
20 State points is a larger number than the 6,600.

21 MR. WYATT: Yes.

22 MR. FURINO: And, I was going to suggest
23 it was in the area of 7,900, but I don't have the
24 documentation to point to.

1 MR. ROSENKRANZ: If you have Data
2 Request OPA 1-4, you were good enough to confirm the
3 numbers on the table --

4 MR. WELLS: Yes.

5 MR. ROSENKRANZ: -- that we put in front
6 of you. And, that's what I'm working from. So, I hope
7 that's correct.

8 MR. WELLS: Right. John, that's correct
9 for the Tennessee. There's also -- we also have two
10 contracts that are -- that are Algonquin. So, if you
11 added all the deliverable capacity, it's 7,878 decatherms.
12 This includes 1,251 decatherms of Algonquin that we just
13 recently renewed, that will be actually coming back to the
14 portfolio as of November; 4,211 decatherms of the
15 Algonquin; 1,034 decatherms of the Niagara; and 1,382
16 decatherms that -- which is also part of the Chicago path.
17 These four segments total 7,878 decatherms.

18 MR. WYATT: Okay.

19 MR. WELLS: Compared to the minimum take
20 in the wintertime of 7,000 decatherms. That having been
21 said, it wouldn't make sense to me that Bay State would
22 ever want us to go below, you know, that if we were to
23 ever ask for 7,878 decatherms, you know, and then rely on
24 bringing every else to Pleasant Street, that Bay State

1 would say "No, we don't think so. We want to keep you
2 from being able to bring that extra 878 decatherms." You
3 know, --

4 MR. WYATT: I guess one example that I
5 would think of would be, what if market conditions were
6 such that the supply they would have to deliver to
7 Northern, being right now the Washington 10 supply, were
8 priced at that particular point in time at a price that
9 was higher than other alternatives that Bay State has to
10 buy spot deliveries to their city gates. It wouldn't be
11 in their best interest to deliver any more than they
12 absolutely had to or accept any more from Northern, in
13 that example.

14 MR. WELLS: Well, I would say we just
15 experienced a winter just like that, Bob.

16 MR. WYATT: Uh-huh.

17 MR. WELLS: And, we -- you know, for one
18 thing, I think, you know, what we've been doing with them
19 is agreeing, you know, basically, for the year. We've, in
20 essence, been increasing the minimum to 12,000, for most,
21 you know, obviously, there are going to be days when, you
22 know, warm weather, what have you, we might agree mutually
23 to reduce that below that. But, again, for planning
24 purposes, we're going into this coming winter with a

1 minimum of 12,000 anyway.

2 MR. WYATT: Uh-huh.

3 MR. WELLS: And, which is pretty much
4 what we did for this coming winter. So, it's not, you
5 know, I guess I agree that, you know, for that eight --
6 you know, for that extra 800 decatherms, which, for this
7 past winter also, I would point out that the minimum of
8 7,000, if you exclude the 1,251, you're below the -- you
9 know, all of our resources that are on a primary basis
10 only deliverable to Bay State would be, in that case, less
11 than what the minimum was. I mean, yeah, we've increased
12 the minimum above, you know, that 7,000, I guess.

13 I got a couple of thoughts. One would
14 be that, you know, we've already -- we have agreed to
15 higher baseload volumes under the Bay State exchange, to
16 kind of -- that kind of takes that area out of concern
17 away. The second being, I really don't think Bay State
18 worries about, you know, less than -- volumes of less than
19 a thousand, truthfully. I mean, they are a far -- far
20 larger utility than us. You know, and so I just -- I can
21 appreciate why you want to be sure that we're not having
22 resources that are unable to be accessed because of
23 limitations in the Bay State Exchange Agreement. And, I
24 guess we're trying to provide assurances that, based on

1 the current market, based on our current portfolio, our
2 understanding of their portfolio, that, within this five
3 year planning period, that that's not really a likely
4 scenario.

5 MR. WYATT: Well, and I appreciate that.
6 It would just be useful for us to be able to see the
7 volumes in the contracts that are being utilized to
8 deliver to the Bay State city gates, to see the
9 utilization of those contracts, what's being used? What,
10 on days that you move, say, 12,000 to Bay State, you're,
11 obviously, using some of your Northern capacity that could
12 go to Northern city gates to deliver to Bay State. But
13 you're getting the cost, the cost of that 12,000 to
14 Northern to the benefit of Northern customers. I
15 understand that.

16 But, at the same time, some of the gas
17 that you're delivering to Bay State city gates on Northern
18 capacity that could have been used to deliver to Pleasant
19 Street, and you needed additional supply beyond the
20 payment from Bay State, you could be withdrawing some more
21 of your Washington 10 supply that may not be to the best
22 benefit of Northern customers. It's confusing. That's
23 why it would be nice to be able to see more of the detail
24 of how these capacity contracts are being utilized. Just

1 to get -- to be able to put the pieces of the puzzle
2 together, rather than just accept the assurance, which we
3 have accepted. But it would be nice to be able to verify
4 how these contracts are being utilized. And, that's why
5 we -- I think we did reframe the question a little bit in
6 Set 3 of the data requests, to provide some additional
7 information.

8 MR. ROSENKRANZ: Would it be okay if I
9 jumped in with a question at this time? Because you
10 raised the issue of the Tennessee contracts, --

11 MR. WYATT: Uh-huh.

12 MR. ROSENKRANZ: -- and unless there is
13 something you need to follow up with immediately, before
14 we get too far away from that, I'd like to follow up with
15 one of my own questions. It's up to you.

16 MR. McCLUSKEY: Just to finish up with
17 what Bob was saying. Bob has articulated part of our
18 concern. You don't need to respond to it. Maybe you can
19 just take that into account when you respond to certain of
20 the written discovery questions. Okay.

21 MR. ROSENKRANZ: Okay. Thank you. This
22 is actually following up on a New Hampshire Staff Question
23 2-15, you were at 2-14. You had another question where
24 you asked specifically about the Tennessee contracts and

1 the ability to change the delivery points. Is my
2 interpretation of your response to 2- -- New Hampshire
3 Staff 2-15 correct that it would be possible to change the
4 Lawrence capacity, but it would not be possible,
5 acceptable to Tennessee to change Agawam and Mendon, which
6 are further upstream?

7 MS. HARTIGAN: As for Mendon, the
8 conversations that we had with Tennessee, there is a --
9 that area of Tennessee's Zone 6 is, according to the
10 engineers at Tennessee, there would be no ability for us
11 to change our primary delivery point from Mendon to
12 Pleasant Street, because there's a part of that area of
13 the grid that is completely oversubscribed and/or fully
14 subscribed. So, --

15 MR. ROSENKRANZ: So, based on that
16 information -- I'm sorry. But, based on that information,
17 you certainly wouldn't, for peak day design day planning
18 purposes, you wouldn't count on being able to take Mendon
19 gas to Pleasant Street? Is that a reasonable --

20 MS. HARTIGAN: On every day of the
21 winter, that particular contract is utilized to take
22 deliveries to Mendon, which then is picked up on
23 Algonquin, to go to the Brockton city gate.

24 MR. ROSENKRANZ: That's not my question.

1 My question is, if you're doing something different, if
2 you wanted to do something different with that Tennessee
3 capacity, and you didn't have that Algonquin contract,
4 which I'm going to talk about later, there's a discussion
5 that generally you can take the Mendon gas to Haverhill,
6 but I think I'm just -- just wanted to confirm that,
7 that's something, because of your information from
8 Tennessee, is not a reasonable design day assumption?

9 MS. HARTIGAN: They would not be able to
10 sell us the capacity to Pleasant Street and change the
11 contract itself. On a design day, whether or not we could
12 schedule gas to Pleasant Street, rather than Mendon, there
13 has never been a restriction point in that part of Zone 6
14 that would prevent us from getting secondary deliveries to
15 Pleasant Street with that contract. The restrictions that
16 we typically see on Tennessee are in Zone 5, on the 200
17 leg, and now the 300 leg, with all of the shale
18 production, it's pretty much fully constrained. There are
19 rarely restrictions in Zone 6. And, I have never seen one
20 between Mendon and Pleasant Street.

21 MR. ROSENKRANZ: I mean, if there's --

22 MR. FURINO: It's almost a question of
23 who's willing to assume the risk. Tennessee is telling us
24 they're not willing to give us that primary to Pleasant

1 Street. So, that's a risk they don't think they can --

2 MR. ROSENKRANZ: Okay.

3 MR. FURINO: You know, we're kind of
4 saying, "hey, we've never seen a restriction there."

5 MR. ROSENKRANZ: Right. But going back
6 to the world of design day resource planning, --

7 MR. FURINO: Right.

8 MR. ROSENKRANZ: -- that's something
9 that you need to take into account. And, the question is,
10 "is that firm on a design day basis?"

11 MR. FURINO: Right. One of the --

12 MR. ROSENKRANZ: Your decision would
13 probably have to be "no", right?

14 MR. FURINO: Right. And, one of the
15 reasons for that would be just simply that Tennessee's
16 ability to maintain pressure on a peak day, especially
17 with generators firing up, with, you know, the potential
18 for limited LNG injections from Repsol and Distrigas, you
19 know, during the winter situation, these are really big
20 concerns for us.

21 MR. ROSENKRANZ: Okay. Now, Agawam is
22 further west. So, I assume, whatever applies to Mendon,
23 applies to Agawam?

24 MR. WELLS: Yes.

1 MR. ROSENKRANZ: If my geography is
2 correct?

3 MR. WELLS: It is.

4 MR. ROSENKRANZ: Okay. And, now, what
5 about Lawrence? I mean, Lawrence is right next door. Are
6 they willing to change the point from Lawrence to Pleasant
7 Street?

8 MR. FURINO: We've had this discussion
9 with them. And, again, like I said, during those
10 discussions, our big focus was on, you know, 41099, that
11 other contract that we wanted to get the local rates for.
12 We have not yet re-engaged them. I believe they would do
13 that. They have told us, though, they -- and, they played
14 this discussion up a little bit where, you know, we have
15 the legacy-type contracts that have been around forever,
16 and they have the delivery points that you multiple
17 delivery points that exceed your contract quantities and
18 all that. And, they tell us that there's benefits to
19 that. We realize that the redundancy is valuable. And
20 that, if we wanted to move it, we'd be looking at a new
21 contract, and it would be just limited to what our
22 contract quantity is, and without the multiple redundancy
23 of delivery points. And, so, you know, if there is no
24 constraint between Lawrence and Haverhill, are we happy

1 enough with primary delivery to Lawrence, and being able
2 to schedule to Pleasant Street with that, without you know
3 any changes -- any other contractual changes?

4 But we've asked them more -- to be more
5 specific and asked them, "well, okay, if we have to get a
6 new type of agreement, what exactly would we be throwing
7 away in terms of contract rights?" And, we haven't -- we
8 haven't gotten the answer back that says very clearly what
9 those are. That's, from my perspective, where I'm at.

10 MR. WELLS: So, the --

11 MR. McCLUSKEY: Could I just follow up
12 on this?

13 MR. WELLS: Certainly.

14 MR. McCLUSKEY: It seems to me, in
15 reading your response about these grandfathered delivery
16 points, I'll call it that, that benefits Bay State, rather
17 than Northern. Why would it benefit -- why would that
18 flexibility benefit Northern, as opposed to Bay State?

19 MR. WELLS: So, I'd like to take that.
20 I think the -- I think one of the challenges that I think
21 we all have right now is that we are dealing with a five
22 year Integrated Resource Plan. That, you know, and the
23 presumption of the Company is that the Bay State exchange
24 will be available and a continuing resource throughout the

1 five year planning period. But I think we all understand
2 that Bay State's contracts on PNGTS come to term the same
3 time Northern's do. And, so, the question really ends up
4 being, what does Northern do if Bay State decides that
5 there's some other way to get gas into their city gates,
6 they can get their own -- you know, they can get their own
7 Tennessee capacity, and that they don't need the -- they
8 don't need the Exchange Agreement anymore, because they
9 don't have Portland. So, this is not, you know, you know,
10 although we understand that this is a -- that that
11 question, you know, it drives questions like "well, why do
12 you want to have capacity to Lawrence?" Well, maybe, in
13 five years, we don't. "Why do we want to have redundant
14 delivery points?" Maybe we don't, when, you know, when we
15 have to -- when Portland and Northern have to make
16 decisions on the PNGTS capacity.

17 So, I think, in some respects, the
18 parties are talking past one another, because we are
19 focused on the five year planning period in this docket.
20 And, I sense, from some of the questions, that the
21 question is "well, we all realize that who knows what Bay
22 State is going to do with their capacity." And, I'd say
23 this: There's only so much capacity into New England.
24 There's a fair chance that Bay State may continue with it.

1 They may find that it's something -- it or some equivalent
2 type of resource. I'm not really sure. You know, and so
3 this is, I think, one of the things that we take away, and
4 I think we kind of knew anyway, is that, as we work
5 through this IRP together, and as we, you know, and beyond
6 the IRP, we need to figure out how we supply the system,
7 you know, we need to decide, really, I think from
8 Northern's perspective, continuing the Exchange Agreement
9 would be ideal for us. We're not so sure if it will be
10 ideal for Bay State. It works for both parties right now.
11 And, so, to the question as to "whether or not we should"
12 -- and, I say all this, because the question as to
13 "whether or not what we do with that Lawrence capacity",
14 is very much driven by whether or not the Exchange
15 Agreement exists.

16 So, to your question, George, like, you
17 know, "what good does it do to have capacity to, you know,
18 Bay State city gate? How does that benefit Northern?"
19 Well, right now, that capacity to Lawrence, you know, ends
20 up being able to displace very expensive capacity at
21 Westbrook or Newington. And, so, I mean, it isn't as
22 though, if we were to ask Tennessee to move that capacity
23 from Lawrence up to Pleasant Street, that all of a sudden
24 we can't count on that particular contract for, you know,

1 to be able to offset system needs at Westbrook or
2 Newington. But, frankly, it's not -- it's not pressing
3 right now, because I know that out till 2019 anyway, I'm
4 going to have Bay State there as a willing exchange
5 partner, because they have got, you know, I know I
6 answered some discovery request about this, about "how
7 much capacity does Bay State have?" It was well in excess
8 of the, you know, 8,000 that we talk about having that is
9 deliverable to their gate on a primary base only -- basis
10 only.

11 So, you know, as I see it, you know, in
12 the next -- in the next, if I may, in the next IRP, the
13 issues that we have to hit head on are "how do we deal
14 with the Exchange Agreement if it goes away?" "How do we
15 deal with the Exchange Agreement if it continues?" I
16 think we have an understanding that, you know, and these
17 are all good, you know, all good issues. And, I think
18 it's important that we talk about them. But I just --
19 it's just been my observation that maybe we're, in a
20 sense, talking about different time periods.

21 MR. WYATT: Fran, and I appreciate that,
22 and I understand where you're coming from. I just, when I
23 think about the Lawrence capacity, --

24 MR. WELLS: Uh-huh.

1 MR. WYATT: -- you can delivery
2 secondary firm up to Haverhill or up to Pleasant Street,
3 sounds like you have an opportunity, Tennessee would
4 probably be willing, on some of that capacity that's up in
5 that end of their pipeline, to give you primary firm
6 rights up there, but you lose your grandfathered
7 flexibility that Rob was talking about, of having multiple
8 delivery points.

9 MR. WELLS: Uh-huh.

10 MR. WYATT: But that capacity is going
11 right by those delivery points. It seems to me, what's
12 the likelihood of capacity going right by a Bay State city
13 gate, of shifting gas to that city gate on a secondary
14 firm, versus waiting until 2019, when there may be a new
15 power generator that's located up in Salem, which I was
16 reading about in Gas Daily a couple of months ago, as a
17 potential interest. And, all of a sudden the capacity
18 situation on that end of Tennessee is completely different
19 than what it is now.

20 MR. ROSENKRANZ: Yes. I think it's -- I
21 would say, looking at it from the standpoint of just a
22 prudent management of capacity, if you've got the
23 opportunity to have uninterrupted end-to-end firm primary
24 delivery on a pipeline and fill that gap, that seemed to

1 be -- would seem to be a prudent thing to do. I
2 understand what you're saying, historically, it's worked,
3 and it works with, you know, fits in with the Exchange
4 Agreement. But, to me, those are secondary things. The
5 Exchange Agreement has value to Northern, to the extent
6 that it's filling gaps. If you can eliminate gaps, yes,
7 then the Exchange Agreement might be good. But, it's not
8 -- no longer necessary. So, that's the perspective on it.
9 That's why we're asking the questions.

10 MR. McCLUSKEY: Or, it might change, if
11 you were to move the Lawrence point up to Pleasant Street,
12 then that might require a change to the Exchange
13 Agreement, but not eliminate it. There's still presumably
14 --

15 MR. ROSENKRANZ: Might allow you to
16 change. You've got more flexibility in the Exchange
17 Agreement.

18 MR. McCLUSKEY: That's correct. Yes.

19 MR. ROSENKRANZ: You can be more than
20 6,000, but you could take it down to 6,000. You don't
21 need to change it, but you could change it differently.
22 You have more leverage when negotiating with Bay State,
23 because you don't -- they know that you don't have that
24 need to fill in a gap.

1 And, finally, with what's going on with
2 pipelines, in terms of fights among different parties on
3 delivery priorities, there's always these issues of how
4 you treat secondary deliveries. And, anecdotally, I don't
5 know, maybe this is not -- I mean, anecdotally, my
6 understanding is there have been pipelines that have put
7 on restrictions on a secondary basis, just because they
8 want to be fair to everybody, even if it's not an
9 unrestricted -- even if the physical restrictions are not
10 there, it's easier for them to put on a blanket
11 restriction to say "today we're not taking secondary."

12 MR. WELLS: I think -- yeah, I think we
13 can take -- I think this has been a valuable dialogue. We
14 can take this input back and talk about it. And, you
15 know, I think you've got a data request that, you know, we
16 think it's probably appropriate to just address it in that
17 response.

18 MR. McCLUSKEY: Okay. Where are we, in
19 terms of time?

20 MS. THUNBERG: Well, I was thinking of
21 that. I believe it's almost twenty of 1:00. And, Gary,
22 you had mentioned maybe taking a lunch?

23 MR. EPLER: Yes. Steve, you want to?

24 MR. PATNAUDE: Yes.

1 MR. EPLER: Okay. Seeing as we have --
2 our other stenographer is here --

3 MR. McCLUSKEY: What was that, Gary?

4 MR. EPLER: The other stenographer is
5 here.

6 MR. McCLUSKEY: Oh, I see.

7 MR. EPLER: Steve is done.

8 (Laughter.)

9 (Whereupon the lunch recess was taken at
10 **12:39 p.m.** and the ***Morning Session Only***
11 of the Joint Technical Session to resume
12 **under separate cover** so designated as
13 "***Afternoon Session only***".)

14

15

16

17

18

19

20

21

22

23

24