

1 STATE OF NEW HAMPSHIRE  
2 PUBLIC UTILITIES COMMISSION

3  
4 January 16, 2013 - 10:11 a.m.  
5 Concord, New Hampshire

6  
7 RE: DE 12-116  
8 PUBLIC SERVICE COMPANY OF NEW HAMPSHIRE:  
9 2011 Reconciliation of Energy Service  
10 and Stranded Costs.

11 PRESENT: Chairman Amy L. Ignatius, Presiding  
12 Commissioner Robert R. Scott  
13 Commissioner Michael D. Harrington

14 Sandy Deno, Clerk

15 APPEARANCES: Reptg. Public Service Co. of New Hampshire:  
16 Matthew J. Fossum, Esq.

17 Reptg. Residential Ratepayers:  
18 Susan W. Chamberlin, Esq., Consumer Advocate  
19 Stephen Eckberg, Utility Analyst  
20 Office of Consumer Advocate

21 Reptg. PUC Staff:  
22 Suzanne G. Amidon, Esq.  
23 Steven E. Mullen, Asst. Dir./Electric Div.

24 Court Reporter: Steven E. Patnaude, LCR No. 52

1  
2 I N D E X  
3 PAGE NO.

4 WITNESS PANEL: ROBERT A. BAUMANN  
5 WILLIAM H. SMAGULA  
6 FREDERICK B. WHITE  
7 MICHAEL D. CANNATA, JR.

8 Direct examination by Mr. Fossum 6, 9, 15  
9 Direct examination by Ms. Amidon 8, 13, 19  
10 Cross-examination by Ms. Chamberlin 20  
11 Interrogatories by Cmsr. Harrington 43, 106  
12 Interrogatories by Cmsr. Scott 90  
13 Interrogatories by Chairman Ignatius 96  
14 Redirect examination by Mr. Mullen 114

15 CLOSING STATEMENTS BY:

16 Ms. Chamberlin 117  
17 Ms. Amidon 119  
18 Mr. Fossum 120

19  
20  
21  
22  
23  
24 {DE 12-116} {01-16-13}

1  
2 EXHIBITS  
3 EXHIBIT NO. DESCRIPTION PAGE NO.  
4 1 2011 Reconciliation of Energy Service and Stranded Costs filing, including the testimonies of Robert A. Baumann, Frederick B. White, and William H. Smagula, including attachments (05-01-12) 13  
5  
6  
7 2 Direct Testimony of Michael D. Cannata, Jr., P.E., including attachments (10-26-12) 14  
8  
9  
10 3 Stipulation and Settlement Agreement (12-26-12) 16  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

{DE 12-116} {01-16-13}

1 P R O C E E D I N G  
2 CHAIRMAN IGNATIUS: I'd like to open the  
3 hearing in Docket DE 12-116, PSNH's reconciliation of  
4 Energy Service and stranded costs for calendar year 2011.  
5 On May 1st, 2012, PSNH filed testimony and schedules in  
6 support of its proposed reconciliation of revenues and  
7 costs associated with its Energy Service Charge and its  
8 Stranded Cost Recovery Charge for calendar year 2011. The  
9 filing covers the reconciliation between the revenues and  
10 expenses included in the SCRC and Energy Service charges,  
11 the performance of PSNH's fossil and hydro generation  
12 facilities, and how PSNH met its energy and capacity  
13 requirements during calendar year 2011.  
14 We have a hearing today that's been  
15 noticed. And, I understand a Settlement has been entered  
16 into among some of the parties. So, let's begin first  
17 with appearances please.  
18 MR. FOSSUM: Good morning. Matthew  
19 Fossum, for Public Service Company of New Hampshire.  
20 CHAIRMAN IGNATIUS: Good morning.  
21 MS. CHAMBERLIN: Good morning. Susan  
22 Chamberlin, Consumer Advocate, for the residential  
23 ratepayers, and with me is Stephen Eckberg.  
24 CHAIRMAN IGNATIUS: Good morning.

{DE 12-116} {01-16-13}

1 MS. AMIDON: Good morning. Suzanne  
2 Amidon, for Commission Staff. With me is Steve Mullen,  
3 the Assistant Director of the Electric Division, and also  
4 Michael Cannata, who is our consultant working for Accion  
5 Group.

6 Also, for your information, I did speak  
7 with Attorney Patch, who intervened, entered his  
8 appearance and intervened on behalf of TransCanada. And,  
9 he indicated to me that he will not be participating in  
10 the hearing today.

11 CHAIRMAN IGNATIUS: All right. Thank  
12 you. So, are there any matters to take up before evidence  
13 on the Settlement proposal?

14 (No verbal response)

15 CHAIRMAN IGNATIUS: Seeing none, why  
16 don't you get settled with -- is it a panel that's  
17 testifying?

18 MR. FOSSUM: Yes. From the Company, it  
19 will be Bob Baumann and Rick White and Bill Smagula, on  
20 behalf of the Company, and I believe they will be  
21 presented in a panel along with Mr. Cannata for Staff.

22 CHAIRMAN IGNATIUS: All right. And,  
23 this time, let's give Mr. Cannata a big chair. You got  
24 the tiny one, we could barely find you last time. Why  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 A. (Baumann) I'm the Director of Revenue Requirements.  
2 And, my responsibilities are all the revenue  
3 requirement calculations filed for Public Service  
4 Company of New Hampshire.

5 Q. And, have you previously testified before this  
6 Commission?

7 A. (Baumann) Yes.

8 Q. And, Mr. Smagula, could you state your name for the  
9 record please.

10 A. (Smagula) William H. Smagula.

11 Q. And, by whom are you employed?

12 A. (Smagula) I'm employed by Public Service Company of New  
13 Hampshire.

14 Q. And, what is your position and responsibilities in that  
15 position?

16 A. (Smagula) My position is Vice President of Generation.  
17 And, I have responsibility for all fossil and hydro  
18 generating assets owned by Public Service Company.

19 Q. And, have you previously testified before this  
20 Commission?

21 A. (Smagula) Yes, I have.

22 Q. And, lastly, Mr. White, could you state your name for  
23 the record please.

24 A. (White) Frederick White.  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]  
1 don't you get settled. This is off the record.

2 (Brief off-the-record discussion ensued.  
3 (Whereupon Robert A. Baumann,  
4 William H. Smagula, Frederick B. White,  
5 and Michael D. Cannata, Jr., were duly  
6 sworn by the Court Reporter.)

7 CHAIRMAN IGNATIUS: Are you ready?

8 Please proceed.

9 ROBERT A. BAUMANN, SWORN

10 WILLIAM H. SMAGULA, SWORN

11 FREDERICK B. WHITE, SWORN

12 MICHAEL D. CANNATA, JR., SWORN

13 DIRECT EXAMINATION

14 BY MR. FOSSUM:

15 Q. So, I'll just go down and get all of the formalities  
16 completed for the record. Start with Mr. Baumann.  
17 Could you state your name for the record please.

18 A. (Baumann) My name is Robert Baumann.

19 Q. And, by whom are you employed?

20 A. (Baumann) I'm employed by Northeast Utilities Service  
21 Company, that provide services to all of our operating  
22 subsidiaries, including Public Service Company of New  
23 Hampshire.

24 Q. And, what are your responsibilities in your position?  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 Q. And, what is your position? I'm sorry. And, by whom  
2 are you employed?

3 A. (White) I'm employed by Northeast Utilities Service  
4 Company.

5 Q. And, what is your position and your responsibilities in  
6 that position?

7 A. (White) I'm a Supervisor in the Energy Supply  
8 Department. And, my responsibilities include analysis  
9 of the Public Service of New Hampshire Company's load  
10 and power supply portfolio.

11 Q. And, have you previously testified before this  
12 Commission?

13 A. (White) Yes, I have.

14 MS. AMIDON: Thank you.

15 BY MS. AMIDON:

16 Q. Mr. Cannata, would you state your full name for the  
17 record please.

18 A. (Cannata) Michael D. Cannata, Jr.

19 Q. For whom are you employed?

20 A. (Cannata) I am employed by Accion Group, who's under  
21 contractual arrangement with the Commission to provide  
22 services of this nature.

23 Q. So, in connection with your engagement, you reviewed  
24 the filing in this docket and other matters, is that

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 correct?

2 A. (Cannata) That is correct.

3 Q. And, have you testified before this Commission

4 previously?

5 A. (Cannata) Yes, I have.

6 MS. AMIDON: Thank you.

7 BY MR. FOSSUM:

8 Q. And, now, I guess for Mr. Baumann, Mr. White, and

9 Mr. Smagula, did you file prefiled testimony in this

10 docket?

11 A. (Baumann) Yes.

12 Q. And, was that testimony prepared by you or under your

13 direction?

14 A. (Baumann) Yes, it was.

15 Q. And, the same is for all of you?

16 A. (Smagula) Yes. The testimony was prepared by me or

17 those working with me, and was filed in this docket.

18 A. (White) Likewise, for my portion of the testimony.

19 Q. Thank you. And, are there any -- strike that. Mr.

20 Baumann, are there any updates or corrections to your

21 testimony today?

22 A. (Baumann) No.

23 Q. And, if you were asked the same questions that are in

24 your testimony, would your answers be the same today as

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 correction on this page is in Line 33, energy purchase

2 costs of "103.9 million", should read "103.8 million".

3 There are associated corrections in

4 Exhibit FBW-3. I don't have the Bates reference for

5 that with me. But it's Attachment FBW-3, just a few

6 pages behind, at the end of my testimony section.

7 CHAIRMAN IGNATIUS: That would be

8 Page 059 on the Bates?

9 MR. FOSSUM: Yes, that would be Bates

10 Page 059.

11 CHAIRMAN IGNATIUS: Thank you.

12 WITNESS WHITE: Thank you.

13 BY THE WITNESS:

14 A. (White) In that table, the section at the bottom, in

15 the bottom left section, under "Off-Peak" purchases,

16 the third column in, labeled "Total Bilateral

17 Purchases", the entry for the month of May should read

18 "3,111", rather than "3,178". And, in the next column

19 to the right, under "Average Price", should read

20 "43.95", rather than "44.88". And, in the "Totals"

21 line, at the bottom of that section, under "Total

22 Bilateral Purchases", should read "7,970", rather than

23 "8,036". And, under "Average Price", it should read

24 "43.03", rather than "43.39".

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 they were when it was filed?

2 A. (Baumann) Yes.

3 Q. And, Mr. Smagula, are there any updates or corrections

4 in your testimony today?

5 A. (Smagula) No.

6 Q. And, if you were asked the same questions today, would

7 your answers be the same today?

8 A. (Smagula) Yes, they would.

9 Q. And, Mr. White, are there any updates or corrections

10 for your testimony today?

11 A. (White) Yes, there are. There's some edits that I'd

12 like to read into the record.

13 Q. Yes.

14 A. (White) And, these edits do not impact the financial

15 reconciliation filed by the Company. This is

16 supplemental information provided for explanatory

17 purposes. It's developed separately from the financial

18 reports in the filing. And, I would direct everyone to

19 Page 3 of my testimony, which is Bates Page 052. And,

20 I'll read through the necessary edits. On Line 24,

21 "41.20" per megawatt-hour, should be "41.12". On Line

22 25, total expense figure of "33.8 million", should be

23 "33.7 million". And, on Line 26, the average cost of

24 "43.39" per megawatt-hour, should be "43.03". The last

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 So, these represent small decreases in

2 purchase costs and off-peak purchase costs. Again,

3 this is supplemental information provided for

4 explanatory purposes, doesn't impact the financials.

5 And, the parties in this proceeding were notified of

6 these changes I believe it was last September, during

7 the technical session, including Mr. Cannata. So, he

8 was aware of this information in preparation in his

9 work.

10 BY MR. FOSSUM:

11 Q. Thank you. And, with those changes and updates, is

12 this testimony true and accurate to the best of your

13 knowledge and belief today?

14 A. (White) Yes, it is.

15 MR. FOSSUM: Thank you. I would enter

16 the combined testimony of the PSNH witnesses as the first

17 exhibit for identification.

18 CHAIRMAN IGNATIUS: That's fine. And,

19 then, is it what we received in the gray binder?

20 MR. FOSSUM: Yes. The complete filing

21 from May, I believe May 1st of 2012.

22 CHAIRMAN IGNATIUS: Thank you. We'll

23 mark that for identification as "Exhibit 1".

24 (The document, as described, was

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

1 herewith marked as Exhibit 1 for  
 2 identification.)  
 3 MR. FOSSUM: I know that lately the  
 4 Commissioners have decreased the amount of testimony being  
 5 summarized from the stand. I'm willing to forgo having  
 6 the witnesses summarize their testimony and move onto the  
 7 next item or, if you prefer, we can have the witnesses  
 8 briefly summarize their testimony?  
 9 CHAIRMAN IGNATIUS: I think that's fine.  
 10 We don't need it summarized.  
 11 MR. FOSSUM: Thank you.  
 12 BY MS. AMIDON:  
 13 Q. So, Mr. Cannata, I'm addressing this question to you.  
 14 Did you file testimony on behalf of Staff in this  
 15 docket?  
 16 A. (Cannata) Yes, I did.  
 17 Q. And, I have in front of me a document that indicates  
 18 "Direct Testimony of Michael D. Cannata, Jr., P.E.",  
 19 dated October 26, 2012. Do you have that document?  
 20 A. (Cannata) Yes, I do.  
 21 Q. And, with the attachments, it consists of 296 pages, is  
 22 that correct?  
 23 A. (Cannata) I can take a quick look here. The answer is  
 24 "yes".  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

1 MS. AMIDON: Thank you. Thank you,  
 2 madam Chair.  
 3 BY MR. FOSSUM:  
 4 Q. And, returning to the Company's witnesses, did each of  
 5 you participate in Settlement discussions in this  
 6 docket?  
 7 A. (Baumann) Yes, I did.  
 8 A. (Smagula) Yes.  
 9 A. (White) Yes.  
 10 Q. And, those are the discussions that resulted in the  
 11 Settlement Agreement that was filed on December 26,  
 12 2012?  
 13 A. (Baumann) Correct.  
 14 A. (Smagula) Yes.  
 15 A. (White) Yes.  
 16 Q. And, each of you familiar with the terms of that  
 17 Settlement Agreement?  
 18 A. (Baumann) Yes.  
 19 A. (Smagula) Yes.  
 20 A. (White) Yes.  
 21 MR. FOSSUM: Thank you. I would enter  
 22 the Settlement Agreement as "Exhibit 3" for  
 23 identification.  
 24 CHAIRMAN IGNATIUS: So marked.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

1 Q. Thank you. Do you have any corrections or other  
 2 updates to this, to your testimony?  
 3 A. (Cannata) No, I do not.  
 4 Q. So, if you were asked the same questions today, you  
 5 would provide the same answers, would that be correct?  
 6 A. (Cannata) Yes, I would.  
 7 MS. AMIDON: Thank you. I would like to  
 8 mark this for identification as "Exhibit 2". And, I  
 9 believe I've given copies, now that I think of it, to the  
 10 stenographer and to the clerk. Thank you.  
 11 CHAIRMAN IGNATIUS: So marked. Thank  
 12 you.  
 13 (The document, as described, was  
 14 herewith marked as Exhibit 2 for  
 15 identification.)  
 16 MS. AMIDON: Pardon me, madam Chairman.  
 17 May I just ask one final question of my witness?  
 18 CHAIRMAN IGNATIUS: Of course.  
 19 BY MS. AMIDON:  
 20 Q. Mr. Cannata, I had meant to ask you, did you  
 21 participate in settlement agreements in this docket,  
 22 that led to the Settlement Agreement between Staff and  
 23 the Company?  
 24 A. (Cannata) Yes, I did.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

1 (The document, as described, was  
 2 herewith marked as Exhibit 3 for  
 3 identification.)  
 4 MR. FOSSUM: I would, I guess, ask the  
 5 same question with regard to the Settlement Agreement as  
 6 with the testimony. If the Commissioners would like, we  
 7 can offer a brief summary of the Settlement Agreement or  
 8 we can simply move on?  
 9 CHAIRMAN IGNATIUS: I think, if there  
 10 are items in particular to note in the Settlement, we've  
 11 read it, obviously, and can explore it in more detail.  
 12 But you might perhaps have the witnesses walk through the  
 13 sort of key provisions that you think bear some further  
 14 explanation.  
 15 MR. FOSSUM: Certainly.  
 16 BY MR. FOSSUM:  
 17 Q. Mr. Baumann, Mr. Smagula, or Mr. White, as may be most  
 18 appropriate, would you very briefly explain some of the  
 19 provisions of the Settlement Agreement that was filed  
 20 on December 26, 2012.  
 21 A. (Baumann) Sure. Why don't I start. Really, the terms  
 22 of the Settlement Agreement start on Page 3, in Roman  
 23 Section III, titled "Settlement Terms". And, there are  
 24 just a couple. And, then, I'll turn it over to my  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 colleagues.  
2 The first section talks about energy  
3 purchases and procurement of energy during 2011. It  
4 finds that the values presented were accurate, they  
5 were made with sound management decisions, and that the  
6 capacity factor projections used in the procurement  
7 process were reasonable. And, last, with respect to  
8 purchases, there's a discussion on the focus on the  
9 short-term market in 2011, which reduced costs, and a  
10 recommendation that this should be continued into the  
11 near future. That's the first section.

12 The second section, up on Page 4,  
13 entitled "Unit Outages" or "C", it really is a section  
14 that just says that "PSNH will not seek recovery of  
15 \$2,203 of replacement power costs" associated with a  
16 handful of outages during the 2011 reconciliation  
17 period. And, those outages are actually found on  
18 Page 3 of the Settlement in a table.

19 And, then, the last section is really,  
20 which is Section D, as in "dog", in Page 4 of the  
21 Settlement. And, it's a series of recommendations  
22 regarding the operation and maintenance of the PSNH  
23 generating units for the year. And, there's a wide  
24 range of issues, and I would defer to my colleagues to  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 specific actions or those specific outages, a number of  
2 recommendations have been identified in the agreements.  
3 I think there's a total of 12. And, PSNH generation,  
4 to a great extent, is responsible to follow through and  
5 conduct studies, to conduct reviews, to modify  
6 practices, as a result of them, in an effort to try to  
7 further improve and enhance the management of our  
8 facilities. And, those actions are being worked on,  
9 and will continue to be worked on until they are  
10 completed. I believe that summarizes the generation  
11 aspect of this Agreement.

12 MR. FOSSUM: Thank you. And, I guess,  
13 subject to Staff having any direct questions for its  
14 witness, the Company's witnesses are available for cross.

15 CHAIRMAN IGNATIUS: All right. Thank  
16 you. Ms. Amidon.

17 MS. AMIDON: Just very briefly.

18 BY MS. AMIDON:

19 Q. In connection with the recommendations that was  
20 referenced by Mr. Smagula, is it true that you also  
21 reviewed recommendations that you had made in prior  
22 reconciliation dockets, to determine whether those  
23 activities had been completed or needed to continue to  
24 be monitored?

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 the left here to discuss them.

2 And, lastly, I would just ask the  
3 Commission, on behalf of the Company, that you would  
4 review and approve in its totality the Settlement  
5 Agreement as filed in this docket. Thank you.

6 A. (Smagula) Good morning. In order to supplement the  
7 information that Mr. Baumann just provided, I will  
8 comment that, in the area of the generating assets, an  
9 extremely thorough review was conducted last year for  
10 these -- for the work and the management of the  
11 generating assets for 2011. This was done in  
12 significant detail, with numerous interviews of many  
13 people and a review of a huge amount of documents. The  
14 conclusion, I believe, that was reached was that a  
15 handful of outages were deemed to have some questions  
16 regarding actions of the Company. And, as has been  
17 stated, there are a few thousand dollars worth of  
18 replacement power costs that were put into question.  
19 And, as is stated in the Agreement, PSNH agreed to  
20 forgo recovery of these power costs, in an effort to  
21 reach settlement agreements, and it is not an admission  
22 of any imprudence on the outages or management  
23 decisions that were made.

In addition to the review of those  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 A. (Cannata) Yes. A complete review was done of the open  
2 recommendations from previous dockets, and there's two  
3 or three. Some were recommended to be closed, and the  
4 reasoning is there, and there are a few that are being  
5 carried forward or being requested to be carried  
6 forward for further review when they become further  
7 complete.

8 Q. Thank you. And, did you have anything else you wanted  
9 to add to Mr. Smagula's description of the  
10 recommendations that begin at Section D?

11 A. (Cannata) No. His description was accurate.

12 MS. AMIDON: Thank you.

13 CHAIRMAN IGNATIUS: All right.

14 Ms. Chamberlin, questions?

15 MS. CHAMBERLIN: Yes, I have a few  
16 questions.

17 CROSS-EXAMINATION

18 BY MS. CHAMBERLIN:

19 Q. I'm going to start by just going more or less in order  
20 of the testimony. I just have a few questions for  
21 each. So, Mr. Baumann, if I may. You have stated that  
22 the Energy Service rate is based on a forecast of  
23 PSNH's actual, prudent, and reasonable costs. Is that  
24 a fair statement?

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 A. (Baumann) Yes.

2 Q. And, in terms of whether a cost is prudent, you look at

3 alternatives? For example, do you check the spot

4 market to check the price on what that would be,

5 compared to running your own generation?

6 A. (Baumann) So, you're referring to a specific

7 methodology we use to purchase power?

8 Q. Yes.

9 A. (Baumann) I think I'll defer that to Mr. White, if

10 that's okay?

11 Q. Sure. I'll stay with Mr. Baumann for now, though.

12 A. (Baumann) Oh.

13 Q. And, then, I'll get to you. Is there, as you're

14 looking at whether or not something is reasonable, is

15 there a cents per kilowatt-hour cost number which, when

16 it gets to that point, it's just unreasonable? Do you

17 have a cut-off point?

18 A. (Baumann) No. It's based on the costs incurred. Now,

19 you're talking about a rate?

20 Q. A rate impact, yes.

21 A. (Baumann) Setting a rate. And, in this docket, we're

22 obviously talking about the actual costs for 2011 as

23 incurred. So, you know, with that respect, these are

24 the actual costs, they're general electric costs that

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 actual costs. But, for reasons beyond your control,

2 your projection is way off. Is there any moment that

3 the rate impact is so high that you say "you know what,

4 this is unreasonable", even though we're using actual

5 costs?

6 A. (Baumann) Well, again, in the forecast, you use

7 projected costs. If, during the period -- during the

8 year, there is a midterm adjustment methodology, where

9 you can adjust that rate midterm, if you feel it's

10 appropriate. And, the Commission has chosen to do that

11 on many alternatives.

12 Q. If you have a very high underrecovery, so you're going

13 to experience rate shock if you implement this, do you

14 have a number in mind that is "rate shock" to you?

15 That you would say "You know what, we need to do

16 something else, because this is just too high"?

17 A. (Baumann) No, I have never really defined it, a number

18 for rate shock.

19 Q. So, essentially, it's actual, prudent at the time, no

20 matter what the impact, you believe it's reasonable?

21 A. (Baumann) No. In numerous -- well, not "numerous", in

22 a few occasions in the past we have had large over-

23 and/or underrecoveries that we actually, as a company,

24 have proposed to smooth out the rate impacts. So, we

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 were presented here. When you're presenting a rate for

2 forecast purposes, again, you put together a parameter

3 and a simulation that has details that will, as

4 accurately as possible, forecast the next year's rate

5 to be recovered -- that would adequately recover costs.

6 And, a good example is 2011. If you

7 take out the Scrubber costs, which were a separate item

8 in this filing, there was really only about a \$200,000

9 underrecovery, when you compared revenues to expenses

10 for 2011. It's actually the closest I've ever seen it

11 in all my many years being here. So, that's really the

12 objective when you set a rate, would be to forecast the

13 costs as closely as possible to what actual would be,

14 so that you could bill a rate that was as accurate as

15 possible.

16 Q. And, in this case, it's a 13.5 million underrecovery,

17 is that approximately correct?

18 A. (Baumann) It was 13.3 in my testimony, and 13.1 of it

19 was due to the Scrubber costs. But, if you put them

20 aside, which, in effect, we are for recovery purposes

21 in 2011, it was really just \$200,000, or 0.2 million

22 underrecovery, for the entire year, which is an

23 extremely accurate forecast.

24 Q. Now, if you -- you make your forecast, you incur your

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 -- I know, just recently, we had a large overrecovery

2 that we had recommended that would be smoothed. The

3 Commission did not take our recommendation in that

4 respect. That was in the 2012 billing period. We've

5 had large underrecoveries that we've asked to be

6 smoothed in the past. And, I believe, in most of those

7 situations, the Commission did approve a smoothing

8 impact.

9 Q. So, that would be your proposal, if it reached some

10 undefined, but really high underrecovery, perhaps you

11 would come forward with a delayed mechanism to collect

12 the rates?

13 A. (Baumann) Well, that would be a consideration,

14 certainly. We have done it in the past. We would

15 certainly consider it in the future. You have to look

16 at the rate structure, the carrying charges, there are

17 a lot of different things you look at. But PSNH has

18 certainly been open to mitigating a one-time rate

19 impact for large overrecoveries or underrecoveries in

20 the past.

21 Q. And, would you consider simply not seeking recovery of

22 a cost, because you didn't want to burden your

23 customers with it?

24 A. (Baumann) If a cost was prudently incurred, PSNH would

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 ultimately seek recovery of that cost.  
 2 Q. No matter what? Can't imagine a situation where you  
 3 wouldn't?  
 4 A. (Baumann) Correct.  
 5 Q. All right. I was looking at your testimony from the  
 6 prior year. And, I'm just trying to just get an  
 7 understanding of some of the differences between the  
 8 years. The testimony stated that coal generation  
 9 resources were put into reserve shutdown and  
 10 alternative market purchases were taken. Is that the  
 11 same thing that happened this year?  
 12 A. (Baumann) Again, I'll have to defer to my --  
 13 Q. Okay.  
 14 A. (Baumann) -- experts here, probably Mr. White.  
 15 A. (White) Yes. It's fair to say, in general terms, that  
 16 occurred in 2011, yes.  
 17 Q. In describing the coal units, this is actually -- I've  
 18 gone to Mr. White now. You include coal as a baseload  
 19 unit. Is that still an accurate description?  
 20 A. (White) Well, it's -- it would be -- it's duty, when it  
 21 was built and put into service, was as a baseload unit.  
 22 And, for the majority of its life, to date, it served  
 23 that duty. As we've discussed, it is not baseload  
 24 across all months in a year, in recent years. But I  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 below market prices.  
 2 Q. And, Newington is oil and gas, is that correct?  
 3 A. (White) Yes. It can burn either.  
 4 Q. Right. Looking at -- you're familiar with the fact  
 5 that PSNH's generation operates in a regional market,  
 6 correct?  
 7 A. (White) That's correct.  
 8 Q. And, it's dispatched by the ISO-New England?  
 9 A. (White) That's correct.  
 10 Q. And, you've received capacity payments as a discount or  
 11 as an offset for the Energy Service rate?  
 12 A. (White) Yes. PSNH generation sells capacity into the  
 13 regional market. And, PSNH load pays for capacity in  
 14 the regional market. So, within the ES portfolio, the  
 15 two, to some degree, offset.  
 16 Q. My recollection is it was \$45 million, is that correct?  
 17 A. (White) Of revenue --  
 18 Q. Of the capacity payment from ISO-New England to NU or  
 19 PSNH?  
 20 A. (White) That sounds correct. I can check, because I  
 21 believe that number is in testimony, on Page 5, of  
 22 45.1 million in revenue in 2011.  
 23 Q. Okay. And, that's counting all of your generation.  
 24 You got credit for all of your units? For instance,  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 think it would be fair to describe it as "baseload"  
 2 over given periods of time, perhaps a week, two weeks,  
 3 a month at a time, such that, when it's on line, it  
 4 stays on line. And, typically, we'll run at full load  
 5 across peak hours. We're talking about Merrimack,  
 6 correct?  
 7 Q. Just coal units in general, but Merrimack, that's -- we  
 8 can get more specific -- I'll get more specific with  
 9 Mr. Smagula's testimony. Another point from the prior  
 10 testimony was, when fuel expense for Newington is lower  
 11 than the cost of purchasing power, that's when the  
 12 Newington Station runs? Is that statement accurate for  
 13 this year?  
 14 A. (White) Yes. That's correct. And, it's not just -- it  
 15 doesn't only run when PSNH has a need to serve load.  
 16 So, you may not be looking at a necessary purchase as  
 17 an alternative. It may simply be that prices in the  
 18 market are high, and that value can be gained for ES  
 19 customers by generating energy from Newington.  
 20 Q. And, selling it back into the market, is that what you  
 21 mean?  
 22 A. (White) That's correct.  
 23 Q. Okay.  
 24 A. (White) And, that would happen when its fuel costs were  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 you get capacity credit for Newington, whether it runs  
 2 or it doesn't run?  
 3 A. (White) That's correct.  
 4 Q. Because it's there?  
 5 A. (White) Yes.  
 6 Q. Okay. And, have you run a sensitivity analysis, let's  
 7 say you retied Newington, what impact would that have  
 8 on your capacity payments?  
 9 A. (White) Well, we're aware of what portion of the 45.1  
 10 is attributable to Newington.  
 11 Q. So, you can run that factor pretty quickly, you just  
 12 haven't done it yet, or you haven't -- you don't have  
 13 it in your mind right now?  
 14 A. (White) I don't have a number that I could give you  
 15 right now.  
 16 Q. But that can be determined?  
 17 A. (White) Because the payments are by resource, and by  
 18 the capability of each individual unit.  
 19 Q. So, if it's running at its maximum capacity,  
 20 100 percent, you would have a certain amount of power,  
 21 and that's what you get paid for, even if you don't  
 22 actually run it, because your unit is available?  
 23 A. (White) Well, we're speaking about the capacity market  
 24 now. So, as I thought you had stated, even when the  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 unit is not generating, it has capacity value and  
 2 receives payments, even during a month where it may not  
 3 have generated any energy.  
 4 Q. Right.  
 5 A. (White) And, those payments are based on "its  
 6 capability", which is by a rating system used in the  
 7 regional market. So, you --  
 8 Q. Yes. Now, one of the factors that affects the rate  
 9 impact on customers is the amount of migration of  
 10 residential/commercial customers from PSNH, as a  
 11 supplier, to competitive suppliers, correct?  
 12 A. (White) That's correct.  
 13 Q. And, the migration has been about 36 to 38 percent. Is  
 14 that still correct?  
 15 A. (White) During 2011, I believe migration was generally  
 16 in the low 30s, and increased toward the upper 30s.  
 17 So, my recollection, the average over the year was 35  
 18 or 36 percent.  
 19 Q. And, do you have a projection going forward what that  
 20 might be?  
 21 A. (White) I can tell you that our calculation of  
 22 migration through December 2012 was 41.5 percent. The  
 23 ES rate setting in December utilized 42 percent.  
 24 Q. Okay. Turning to Mr. Smagula's testimony, Page 3, you  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 Q. Okay.  
 2 A. (Smagula) There are a number of pages. Which ones are  
 3 you --  
 4 Q. Well, we can go backwards.  
 5 A. (Smagula) Okay.  
 6 Q. We can start with the one entitled "Fossil Plant Graphs  
 7 - Planned Outages Omitted".  
 8 (Court reporter interruption.)  
 9 MS. AMIDON: And, just for  
 10 clarification, I apologize, I wanted to say that there is  
 11 a Bates stamp. I believe 123 and 124.  
 12 MS. CHAMBERLIN: Oh. Yes.  
 13 MS. AMIDON: Just for the sake of people  
 14 who are looking for it. Thank you.  
 15 BY MS. CHAMBERLIN:  
 16 Q. Okay. I'm on Page 124.  
 17 A. (Smagula) Okay. Yes. I have that page.  
 18 Q. Okay. And, you've got the dark line with the square,  
 19 "AVI". Is that average?  
 20 A. (Smagula) Yes. That's "Availability 1". It's a  
 21 certain characteristic of calculating availability  
 22 with, as the title of the page indicates, with the  
 23 planned outages omitted. Because the rationale for  
 24 that is, that if, during the course of a year, a unit  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 use the word "availability", "unit availability". That  
 2 is different from "capacity factor", correct?  
 3 A. (Smagula) Yes.  
 4 Q. And, can you explain the difference please?  
 5 A. (Smagula) Yes. "Capacity factor" is the amount of  
 6 hours in a given period that the unit -- the  
 7 megawatt-hours that are generated over a period of  
 8 time, as compared to the maximum number of  
 9 megawatt-hours that are generate -- that could be  
 10 generated. So, that would be the "capacity factor".  
 11 How much they produced, as compared to the maximum  
 12 amount they could have produced.  
 13 Q. Okay.  
 14 A. (Smagula) Whereas, the "availability" is determined by  
 15 the number of hours that the unit is available to  
 16 operate, as compared to the total number of hours in  
 17 that period.  
 18 Q. And, at the back of your testimony you have some fossil  
 19 plant graphs. There aren't any Bates stamps, but  
 20 they're the last two pages of the document that I have.  
 21 A. (Smagula) In the testimony or the appendix?  
 22 Q. Well, let's see. I think it's the appendix. Yes, it's  
 23 the appendix. Last two pages.  
 24 A. (Smagula) I have those pages.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 has a planned four-week maintenance inspection that's  
 2 occurred, if you then would assume that the year is  
 3 four weeks shorter, your analysis is based on, "of all  
 4 the weeks that the unit was not planned to be  
 5 unavailable, what would the capacity factor be?" So,  
 6 one is availability, the blue, and then the capacity  
 7 factor is the lower value, the lower curve, which, in  
 8 my sheet, is red.  
 9 Q. Okay. And, in mine, it's just lighter, with a triangle  
 10 on it.  
 11 A. (Smagula) Yes.  
 12 Q. So, starting at the Schiller Unit 4, the availability  
 13 stays fairly high, above 90 percent. And, then, if you  
 14 look at the lower one, at around 2008 it starts to drop  
 15 down, to 2011 it's way down at the bottom. So, that  
 16 tells us that it was ready to run, but it just didn't  
 17 run very often for economic reasons?  
 18 A. (Smagula) That's correct.  
 19 Q. Schiller 5, that's the unit that is now burning wood,  
 20 is that correct?  
 21 A. (Smagula) Yes.  
 22 Q. And, that one, the same two lines, around 2006, it  
 23 starts going up. Do you recall when you converted to  
 24 wood?  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula-White~Cannata]

1 A. (Smagula) The conversion began in December 1st, 2006.  
 2 Q. A coincidence. And, then, the Schiller 6, similar to  
 3 Unit 4, the actual run time, around 2008, starts to  
 4 drop off significantly. And, --  
 5 A. (Smagula) Yes. It drops from the 80s, down into the  
 6 50s, right.  
 7 Q. And, the Unit 4 and Unit 6, are those both coal units?  
 8 A. (Smagula) Excuse me? Yes.  
 9 Q. And, would you expect, as units get older, that they  
 10 will have more planned outages or are there ways to  
 11 mitigate that impact?  
 12 A. (Smagula) There's numerous ways to mitigate that. So,  
 13 more planned outages is not relevant to age. In fact,  
 14 with somewhat reduced capacity factors, planned outages  
 15 have some likelihood of being reduced or conducted at  
 16 all -- or, not conducted at all.  
 17 Q. Now, flipping back to Page 123.  
 18 A. (Smagula) Yes.  
 19 Q. We have different units, similar drops occurring at  
 20 2008, looking at Merrimack Unit 1, capacity factor  
 21 going down to -- are you saying that the capacity  
 22 factor of Merrimack Unit 1 is 70 percent? In 2011?  
 23 A. (Smagula) It was. That's the capacity factor, if you  
 24 exclude the planned outages.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula-White~Cannata]

1 Q. Okay. And, if you include the outages, it goes down  
 2 to, I'm looking at Page 121, you're saying  
 3 "50 percent"?  
 4 A. (Smagula) I think it's in the 50s.  
 5 Q. Okay. And, then, unit two starts to drop in 2009,  
 6 without -- with planned outages, it's down to 40,  
 7 between 40 and 50, is that correct?  
 8 A. (Smagula) In which curve are you looking at?  
 9 Q. Well, I'm looking at Page 121, "Unit 2 Historic  
 10 Performance Data", it's the middle graph.  
 11 A. (Smagula) Yes. I think it's in the high 40s. Is that  
 12 what you indicated? Yes.  
 13 Q. I think so, yes. And, looking at Newington, does --  
 14 CHAIRMAN IGNATIUS: Can I ask,  
 15 Ms. Chamberlin, you've moved between two different ways of  
 16 depicting this, "with planned outages" and "without".  
 17 And, which -- are you sticking with the 123/124 pages or  
 18 are you now in 121/122?  
 19 MS. CHAMBERLIN: Well, I've been  
 20 comparing, as you noticed, the planned outages and the  
 21 planned outages omitted. I'm trying to grasp the impact  
 22 of the way it was calculated. I can understand the  
 23 concept, but I'm trying to coordinate the numbers. So, I  
 24 will go -- I will go back to the planned outages, and try  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula-White~Cannata]

1 to stay there.  
 2 CHAIRMAN IGNATIUS: So, Pages 121 and  
 3 22 [122?]?  
 4 MS. CHAMBERLIN: No, 123/124.  
 5 CHAIRMAN IGNATIUS: So, without the  
 6 planned outages?  
 7 MS. CHAMBERLIN: I'm sorry, planned  
 8 outages omitted, yes.  
 9 CHAIRMAN IGNATIUS: Okay. Thank you.  
 10 BY MS. CHAMBERLIN:  
 11 Q. So, looking at Newington, which is the bottom graph,  
 12 2006 it goes down to about 10 percent. Since Newington  
 13 is a gas -- has the option of running on gas, I'm  
 14 surprised it hasn't run more. Can you explain why it  
 15 hasn't run more?  
 16 A. (Smagula) Newington does not -- is not dispatched on  
 17 firm gas purchases. As a result, when the economics of  
 18 the market are such that the unit is -- has some  
 19 likelihood of running, we look at each fuel that it can  
 20 burn and determine which would be the lower cost on a  
 21 given day. And, based on gas availability and gas  
 22 price, at the price we buy gas, because we're not a  
 23 firm customer, we would look at the spot market or the  
 24 intraday market, and we would then determine what the  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula-White~Cannata]

1 price of the unit would be to be dispatched on a given  
 2 day. Whether it be a very -- a warm day or a hot day  
 3 or a cold day, and we then would bid our unit in  
 4 accordingly, in order to make sure that we would be  
 5 reimbursed for our fuel purchase. And, then, the ISO  
 6 would determine, based on the market conditions,  
 7 whether that unit would be picked up or not. So, it's  
 8 not a easy answer. It's just not based on what we can  
 9 go buy gas on, because that's a dynamic situation. For  
 10 example, gas prices at the moment are very high,  
 11 because there is a high demand, due to energy needs of  
 12 residential customers and the limitations of the  
 13 transportation system to bring gas into New England.  
 14 New England doesn't have much storage of gas. So,  
 15 we're kind of subject to the transportation market.  
 16 Q. So, is it a fair summary that Newington isn't running  
 17 not because gas is inexpensive, essentially, but that  
 18 it's not available to the Newington unit, for a variety  
 19 of reasons?  
 20 A. Oh, no, gas would be available, but it's the price that  
 21 the gas would be available. And, if the price is  
 22 extremely high, or higher than would allow us to bid  
 23 the unit in economically and it's not picked up. So,  
 24 there are a number of variables that are factored into  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 a decision on what to bid the unit in on any given day.  
 2 And, then, the market determines whether the unit is  
 3 picked up. For example, there was a situation a few  
 4 weeks ago where gas was available at an extremely high  
 5 price. The market was at an extremely high price.  
 6 And, we bid the unit in on oil, and the unit was picked  
 7 up on oil, and provided significant value to customers,  
 8 versus what we otherwise would have had to buy the  
 9 energy in the daily market.  
 10 Q. So, when you look at --  
 11 A. (Smagula) So, there is flexibility on the fuel, but  
 12 it's a dynamic situation on a weekly or, in fact, daily  
 13 basis.  
 14 Q. Okay. And, if Newington didn't run at all, would that  
 15 cause you to bid in other plants in a different way, if  
 16 you retired it?  
 17 A. (Smagula) Newington is bid in every day. The market  
 18 consumption and projected consumption, the market needs  
 19 then dictate which units run in New England. So, we  
 20 bid the unit in every hour of every day, and we do that  
 21 daily.  
 22 Q. Now, recognizing that this is not the planning document  
 23 [docket?], do you at any point say "This plant just  
 24 isn't running very much, it would be more economic to  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 for other products that it possesses in the ISO-New  
 2 England market.  
 3 BY MS. CHAMBERLIN:  
 4 Q. So, the benefit is for the whole ISO-New England  
 5 market, not specifically New Hampshire?  
 6 A. (Smagula) No, it's for PSNH customers directly.  
 7 There's value there for the unit in the way it operates  
 8 right now.  
 9 Q. And, would you say there is also value to the ISO-New  
 10 England region as a whole?  
 11 A. (Smagula) Yes, there is. And, that's why we are  
 12 reimbursed for capacity, with capacity payments and  
 13 other things. So, yes, it's a benefit for the region,  
 14 and that benefit flows to our concerns.  
 15 Q. So, when you're doing this snapshot, you're doing a  
 16 projection, and then you're doing this reconciliation,  
 17 you don't make the analysis at that point which would  
 18 be less expensive, going to the spot market or retiring  
 19 the plant?  
 20 A. (Smagula) Well, we make a determination as to which is  
 21 more beneficial to customers, either procuring energy  
 22 or running Newington. We do that on a daily basis, and  
 23 bidding the unit in on a daily basis. Retiring the  
 24 plant is not something we do on a daily basis. That's  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]  
shut it down"?

1  
 2 MR. FOSSUM: I guess I would, before  
 3 going on, I would ask, I mean, the question was prefaced  
 4 by the statement "this isn't the planning docket". So, I  
 5 guess I would, in this particular docket, I would question  
 6 what that question is trying to elicit.  
 7 CHAIRMAN IGNATIUS: Ms. Chamberlin.  
 8 MS. CHAMBERLIN: I'm trying to look at,  
 9 when they -- the alternatives, when they are making a  
 10 prudent choice, what are they looking at? And, if you  
 11 say, "it's not my job, I just bid in the plants", you  
 12 know, fine, that's the answer. But I'm interested to see  
 13 where the decision-making happens, and, if it happens, in  
 14 what way?  
 15 CHAIRMAN IGNATIUS: I think that's fair.  
 16 Mr. Smagula.  
 17 BY THE WITNESS:  
 18 A. (Smagula) You know, I think there are studies that have  
 19 been made that are on file with the Commission that  
 20 illustrate that Newington provides value to customers,  
 21 even with the capacity factors that are demonstrated on  
 22 this sheet. And, that has to do with its overall value  
 23 to customers in providing energy, which is limited, but  
 24 also in its capacity value and its benefit to customers  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 done -- that's a broader issue, and I think it is  
 2 relevant to the integrated least cost docket. And, I  
 3 believe there is information there, which on -- with  
 4 regard to Newington, may assist you. But I think the  
 5 summary that I provided, that there is net value to  
 6 customers with the Newington station running and  
 7 existing with the current capacity factors, is correct.  
 8 Q. So, in your daily prudence analysis, you don't think  
 9 "well, are we going to shut it down today?" You assume  
 10 that you're going to -- that the plant is operational,  
 11 and your choices are among bidding it in for oil or gas  
 12 or the price that you bid it in, that's how you make  
 13 your alternatives?  
 14 A. (Smagula) We bid the unit in at the lowest price we  
 15 can, based on fuel price. And, then, the ISO-New  
 16 England determines whether the unit runs for energy in  
 17 the subsequent day.  
 18 Q. Just a final comment on the Schiller Unit 5, the wood  
 19 conversion. Out of these six graphs, that's the only  
 20 one that is not going down. That's actually going up.  
 21 And, is that due to the availability of wood?  
 22 A. (Smagula) No. It has nothing to do with wood. There  
 23 has been a consistent availability of wood and a very  
 24 consistent price for wood, over the last four to five  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula-White~Cannata]

1 years. The reason the availability is going up, and  
 2 I'll say it is due to the engineering work and  
 3 operations work being done at Schiller Station, based  
 4 -- in order to eliminate carriers and pieces of the  
 5 unit that had been identified causing small amounts of  
 6 outages and small amounts of reduced capacity factor,  
 7 through targeted maintenance and targeted modest  
 8 capital investments, the unit's reliability has  
 9 continued to climb. In fact, it made more power in  
 10 2012 than it had in any other prior year, and ran in  
 11 its longest duration of 155 days without an outage in  
 12 2012. So, the performance of the unit continues to  
 13 grow. And, you'll see that, in next year's docket on  
 14 this issue, that the amount of generation will, in  
 15 fact, climb further.

16 Q. Okay. I have a couple questions for Mr. Cannata. On  
 17 Page 5 of your testimony, you discuss -- you say that  
 18 the -- let me get the exact words. That "PSNH's filing  
 19 is an accurate representation of the capacity and  
 20 energy purchases." And, then, down on Lines 9 and 10,  
 21 you say that the purchases are "consistent with its  
 22 2010 Least Cost Plan." Are you referring to the filed  
 23 2010 plan?

24 A. (Cannata) There was a document, I believe it was in  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula-White~Cannata]

1 September of 2010, which updated PSNH's Least Cost  
 2 Plan. My review of PSNH's actions during 2012 were  
 3 consistent with that document.

4 Q. So, you're aware that the document has yet to be  
 5 approved by the Commission?

6 A. (Cannata) My understanding was that the 2010 document  
 7 was approved, and there is an additional document  
 8 pending to be approved by the Commission, which is  
 9 going to be the 2012 Least Cost Plan.

10 Q. Well, we can leave that. Your recommendation is that  
 11 approximately \$2,000 will not be recovered in this  
 12 reconciliation, is that correct?

13 A. (Cannata) That is correct.

14 Q. Do you have a cents per kilowatt-hour, you know, 0.0002  
 15 impact analysis of what that is?

16 A. (Cannata) On customer rates?

17 Q. Yes.

18 A. (Cannata) No.

19 Q. No. Thank you.

20 A. (Cannata) It would be small, though.

21 Q. It would be small.

22 MS. CHAMBERLIN: Thank you. That's all  
 23 I have.

24 CHAIRMAN IGNATIUS: Thank you.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula-White~Cannata]

1 Commissioner Harrington, questions?

2 CMSR. HARRINGTON: Yes. Good morning.

3 BY CMSR. HARRINGTON:

4 Q. Let's just kind of follow up with some of the issues  
 5 that we were just discussing, having to do with the  
 6 availability factors and capacity factors. I'll be  
 7 dealing with those same, 121, 122, and so forth pages.  
 8 And, in your last answer on Schiller, Mr. Smagula, you  
 9 were talking about various improvements, and I don't  
 10 know if it was design changes or modifications, but  
 11 that that's what led to the higher capacity factor.  
 12 But that doesn't seem to match, if you look at the  
 13 Merrimack unit, for example, Merrimack 1, which has an  
 14 availability factor extremely high, yet its capacity is  
 15 going down. So, it would seem as if improvements in  
 16 operation and design, whatever, may increase the  
 17 availability factor, which, of course, could increase  
 18 the capacity factor, but the main thing driving the  
 19 capacity factor is cost, isn't it?

20 A. (Smagula) Yes. That's correct. I think in my comments  
 21 were primarily associated with Schiller 5, which was  
 22 the area of focus in the last set of questions.

23 Q. And, one of the biggest reasons that Schiller 5 has  
 24 better cost figures and a higher capacity factor is  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula-White~Cannata]

1 because it's able to qualify for RECs under the  
 2 Renewable Portfolio Standard, --

3 A. (Smagula) Yes.

4 Q. -- which the other units are not.

5 A. (Smagula) And, there's also a federal tax credit.

6 Q. Okay. And, there was a lot of discussion on Newington  
 7 and bidding, and just tell me if I'm wrong here.  
 8 Basically, each, on the day before, you bid -- I'm  
 9 assuming you bid into the day-ahead market with  
 10 Newington?

11 A. (Smagula) Yes.

12 Q. So, you put in a bid based on your going forward cost,  
 13 where your biggest variable from day-to-day is the cost  
 14 for fuel?

15 A. (Smagula) Correct.

16 Q. Okay. And, then, that either clears the day-ahead  
 17 market or it doesn't clear, based on what happens in  
 18 all the rest of New England, is that correct?

19 A. (Smagula) Yes. That's correct.

20 Q. So, the going forward cost on Newington are mostly  
 21 driven by the cost of gas, and potentially oil, as you  
 22 mention, in some cases, because, if gas spikes on a  
 23 particular cold day, then oil may be cheaper and may  
 24 actually be dispatched, is that correct?  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 A. (Smagula) That is correct, yes.

2 Q. And, you were talking -- you were asked about Newington

3 and how often it ran and so forth. And, you did a lot

4 of discussion on availability of gas and so forth. But

5 isn't it correct that Newington is I guess what you

6 call a "thermal gas plant", and it's not a combined

7 cycle gas plant?

8 A. (Smagula) Yes.

9 Q. So, it is inherently much less efficient than a modern

10 combined cycle gas plant?

11 A. (Smagula) It is. And, it has a different heat rate, a

12 higher heat rate. That's correct, yes.

13 Q. And, so, what would you rate the thermal efficiency of

14 the Newington plant to be approximately, either in heat

15 rate or percentage?

16 A. (Smagula) Just under 11,000. So, about ten eight.

17 Q. So, what does that come out to be? Somewhere --

18 A. (Smagula) 10,800.

19 Q. -- about around 30 percent efficient?

20 A. (Smagula) About 35 percent efficient.

21 Q. Thirty-five percent, okay. As compared to a modern

22 combined cycle gas plant, which it's now approaching,

23 looks like they're in the 60 percent range?

24 A. (Smagula) That could be. I'm not sure what the plants  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 said something, that "there was no indication of any

2 imprudent management decisions." Would you limit

3 imprudency to only PSNH management actions, or, if an

4 operator or a mechanic did something incorrect, would

5 that be considered imprudent as well?

6 A. (Smagula) Yes. I think my statement was a reiteration

7 of a statement that existed in the Settlement

8 Agreement. But, in fact, on Page 4, at the top

9 paragraph, which is a general statement, but, in

10 response to your question, yes. An "imprudency"

11 discussion could relate to a management decision or an

12 employee action.

13 Q. Okay. I just wanted to --

14 A. (Smagula) Or any number of things that could occur, a

15 wrong part, anything.

16 Q. I just wanted to make sure we weren't trying to limit

17 it only to management actions?

18 A. (Smagula) No.

19 Q. Okay. Maybe I misunderstood.

20 A. (Smagula) No, and I didn't intend that. I was just

21 trying to reiterate the language in the Agreement.

22 Q. One thing that's been kind of a new phenomenon in our

23 electric markets here is that we're actually seeing

24 higher electric prices on the wholesale level in the  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 in the region are, based on their age.

2 Q. Okay. And, on Page 123, when talking about Merrimack

3 1, and the capacity factor, the last block there

4 appears to be -- I'm trying to get this -- does that

5 triangle show up in the middle of 2011, the end of

6 2011, or the beginning?

7 A. (Smagula) It's intended to be for that calendar year.

8 Q. Okay. So, for the calendar year 2011, the capacity

9 factor was 70 percent?

10 A. (Smagula) With the planned outages omitted.

11 Q. With the planned outages omitted, okay. And, --

12 A. (Smagula) 2011, if you recall, is our tie-in year with

13 the Clean Air Project. So, both Merrimack 1 and

14 Merrimack 2 had outages associated with that, but those

15 are excluded in this case. So, that's right. This

16 would be outside of those planned outages.

17 Q. Okay. So, for including the planned outages, we go to

18 121, that would be somewhere in the --

19 A. (Smagula) Yes.

20 Q. -- in the high 50s.

21 A. (Smagula) And, that's why those units took a dip in

22 that year, because of the Scrubber tie-in work.

23 Q. You had made a statement earlier, in talking about the

24 prudence, and this is, again, Mr. Smagula, and you had  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 wintertime now. And, historically, even though we have

2 a summer peak on load, we've always had a summer peak

3 on price to go along with that. But, due to our large

4 dependency on natural gas, we're actually seeing

5 electric prices on the wholesale level become higher in

6 the winter than they have been in the summertime, and

7 that's, obviously, because the price of gas has spiked,

8 as you mentioned, and you were able to actually have

9 Newington run and be dispatched on oil for a few days.

10 What action have you taken to account for the fact that

11 your fossil units are now going to be running more in

12 the wintertime than they would in the summertime, which

13 is sort of a reverse of what we expected in the past?

14 A. (Smagula) There is no specific action that we take in

15 order to enhance our reliability and our unit

16 operations in the winter. Our units are ready to run

17 at any given time during the year. I will say, though,

18 that in the winter, with cooler water, our efficiency

19 is incrementally improved, based on condenser back

20 pressure, and that improves the efficiency of the

21 thermodynamic cycle a bit. But, other than that, we

22 don't take any special precautions. Our units are

23 designed and able to run in any weather.

24 Q. Well, I wasn't meaning so much for special precautions  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 to make sure, but more like in scheduling of outages  
 2 and maintenance?  
 3 A. (Smagula) Oh. Excuse me, yes. Thank you for  
 4 clarifying to me what you were seeking. Yes. Our  
 5 units, we manage our fleet in concert with wholesale  
 6 marketing and bidding, in order to maximize benefit to  
 7 customers. And, we always take our planned maintenance  
 8 inspections or overhauls during what's often referred  
 9 to as the "shoulder months", or those months of the  
 10 year when demand is lower, because we're in a  
 11 transition. We're not in the dead of winter with high  
 12 demand and we're not in the summertime period with high  
 13 demand. We try to take them in the spring or the fall.  
 14 And, that practice continues now. And, in fact, if we  
 15 do have any other reason to take an outage, such as a  
 16 piece of equipment should be repaired, we will defer  
 17 that action to take the unit off line for a week or  
 18 two, and if we see the weather breaking. For example,  
 19 a few weeks ago Merrimack 1 needed to come off line to  
 20 do some maintenance, it is now back on line. But we  
 21 did it during that warm period last week, when demand  
 22 was down, prices were down, and so that it could be  
 23 available and, in fact, is on line now, because the  
 24 prices have gone back up.

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 So, not only our planned outages, where  
 2 we have to schedule occasional contractors or other  
 3 specialty technicians to assist us, that's often in the  
 4 spring or the fall. But, otherwise, during the year,  
 5 we're doing that same thinking, continuously working in  
 6 concert with wholesale marketing to determine what's  
 7 best, and at the lowest cost.  
 8 Q. And, I guess -- I guess what I'm trying to get at is  
 9 that there has been rather a quantum change here in the  
 10 New England market. Such as, for example, I don't  
 11 remember the exact date, but sometime last June or July  
 12 there was a -- I think a front page article in the  
 13 Union Leader about the Merrimack Station was going to  
 14 be closed for six weeks or something during the summer,  
 15 and there was a lot of speculation you were closing the  
 16 plant down, which was obviously incorrect. But that is  
 17 something that would have never been thought of doing a  
 18 few years back, because during the summer months is  
 19 when the demand was highest and the prices were  
 20 highest. But I'm just wondering if you made a  
 21 management change, such as with personnel scheduling  
 22 vacations, scheduling any type of maintenance, or even  
 23 activities that would have a higher probability of  
 24 taking the plant off line, moving those towards summer,

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 and away from the winter, --  
 2 A. (Smagula) No.  
 3 Q. -- given that you have a higher chance of running in  
 4 the winter?  
 5 A. (Smagula) No. We would want our plants to always be  
 6 available in the summer period. So, any type of  
 7 planned maintenance would be in the spring or the fall.  
 8 Q. Okay.  
 9 A. (Smagula) Sometimes we do now, in order to assist us in  
 10 reducing our cost, take our outages during these lower  
 11 load/lower price periods, and we may extend the length,  
 12 which what might have been a three-week inspection, we  
 13 may use five weeks, for example, or, in the case you  
 14 quoted, six weeks. We do that, because the extended  
 15 period of time still does not subject our customers to  
 16 any incremental cost. And, what it allows us to do is  
 17 do the work on a straight-time basis, rather than work  
 18 double shifts, seven days a week, which had been the  
 19 case in the past. We lengthen that now, use our own  
 20 employees to a greater extent, and work it on  
 21 straight-time. So, our reduction in availability isn't  
 22 causing our customers any more costs, in fact, is  
 23 saving our customers money.

24 Q. Because you're not going to run, you're buying power in  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 the market regardless?  
 2 A. (Smagula) At a lower price, yes.  
 3 Q. Okay. Let's see. I'm just going to ask a few  
 4 different questions now, and whoever is most  
 5 appropriate to answer them. I guess this would be for  
 6 Mr. Cannata. In your -- in the Settlement Agreement,  
 7 it states that "Mr. Cannata reviewed PSNH's capacity  
 8 and energy transactions and concluded that PSNH's  
 9 capacity factor projections used in 2011 were  
 10 reasonable." The reason I ask this question is,  
 11 because during the recent least cost planning docket,  
 12 we were basically told that Public Service doesn't  
 13 really make capacity projections, that they just assume  
 14 that the -- like, the Merrimack plant is a baseloaded  
 15 plant, it would run like a baseloaded plant. And, as  
 16 we've seen by these statistics, it's been -- the  
 17 capacity factors have been going down. So, what were  
 18 the projections for capacity factors that you,  
 19 obviously, were able to have access to?  
 20 A. (Cannata) What you say, Commissioner, may have been  
 21 true in the past, but the current process, which is the  
 22 same process, does not make that global assumption,  
 23 that the Merrimack units and Schiller units are  
 24 baseloaded, and, therefore, no reduction. They are put

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 into the monthly analysis, and there is a number that  
2 comes out that projects the economic reserve shutdown  
3 periods for that month. And, what I referred to was is  
4 that the prices that PSNH was using to meet those  
5 projections, in preparation for its December 10 filing,  
6 and its update the following July, were reasonable.

7 Q. Okay. So, what you're saying is that there is a  
8 method, that wasn't explained to us previously, I  
9 guess, but that where, on a monthly basis, Public  
10 Service looks ahead, and I assume at future gas prices,  
11 availability of other plants, transmission outages,  
12 *etcetera*, and projects what they believe the capacity  
13 factor will be for each of their fossil units?

14 A. (Cannata) Yes. And, I'm going to refer you to a data  
15 request, which might even help make that clearer. And,  
16 it's Staff 1-13 and Staff 1-14, and I'll get you the  
17 page numbers here.

18 Q. And, that's in your --

19 A. (Cannata) In my testimony.

20 MR. MULLEN: And, if I could, if it  
21 helps somewhat, Mr. Cannata, if you -- there's a chart on  
22 Page 52 of your testimony, that includes the projected  
23 capacity factors?

24 WITNESS CANNATA: Yes.

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 A. (Cannata) When they ran their monthly models, and I  
2 believe this is for the filing, for the December 10  
3 filing as noted, for the ES filing, that it showed that  
4 there would be 377 hours for Merrimack 1 of reserve  
5 shutdown during that month.

6 Q. Okay. So, everybody's clear, could you define the term  
7 "reserve shutdown" please.

8 A. (Cannata) The unit is ready to run, but is not needed  
9 because -- or, it does not run because of economics.

10 Q. So, what you're saying is that, in all other months,  
11 other than May, it would run, if it was actually  
12 available?

13 A. (Cannata) That is correct.

14 Q. Okay. And, then, the next one, where it talks about --  
15 and, again, I'm trying to follow this. Let's just  
16 start at the beginning. "Megawatt-hours per hour"?

17 A. (Cannata) Yes.

18 Q. What does that mean, "megawatt-hours per hour"?

19 A. (Cannata) Unit 1 is rated, and I'll just take the month  
20 of January for talk purposes, Unit 1 is rated as 114  
21 megawatts in the month of January for its capacity. If  
22 it runs for one hour, it would generate 114  
23 megawatt-hours in that one hour.

24 Q. So, that's a seasonal claimed capability that you're

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 MR. MULLEN: If that helps the  
2 discussion.

3 WITNESS CANNATA: Sure.

4 BY THE WITNESS:

5 A. (Cannata) Yes. It's actually Staff 1-9 and Staff 10,  
6 and that is at Page 141. If you look at the Attachment  
7 to Staff 1-9, this was their projected -- the analysis  
8 that I just spoke of. And, in there --

9 BY CMSR. HARRINGTON:

10 Q. I'm sorry, did you say "141" or 142?

11 A. (Cannata) The attachment would be Page 142, yes.

12 Q. Okay.

13 A. (Cannata) You can see that there was some economic  
14 reserve shutdown hours modeled in the projected  
15 capacity factors.

16 Q. And, maybe you can just walk us through these. Let's  
17 just use Merrimack 1. And, the first column,  
18 obviously, we have is the date, then we have  
19 megawatt-hour --

20 A. (Cannata) Yes. It's the rating of the unit, if you  
21 will. And, this is just a summary of, okay, when they  
22 ran their models, their monthly models --

(Court reporter interruption.)

24 CONTINUED BY THE WITNESS:

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 reflecting?

2 A. (Cannata) Yes, monthly. It's like a monthly claimed  
3 capability, yes, Commissioner.

4 Q. Okay.

5 A. (Cannata) And, based on that, if we go to "May", the  
6 analysis done by PSNH said that there would be "377"  
7 hours in which "114" megawatt-hours would not be  
8 available.

9 Q. Would not be produced?

10 A. (Cannata) By that, yes.

11 Q. Okay.

12 A. (Cannata) Produced by Merrimack 1, because of economic  
13 reserve shutdown.

14 Q. And, in the other -- the last column, where it says  
15 "Actual", what does that exactly mean?

16 A. (Cannata) That jumps ahead to the actual time period.  
17 Remember, we are using data that was probably compiled  
18 for a fuel forecast in the Fall of 2010, --

19 Q. Okay.

20 A. (Cannata) -- to make the filing in December of 2010, to  
21 get the projected model number. The number in the  
22 other column is actual May 2011 actual data.

23 Q. Okay. So, I'm just trying to get this straight now.

24 If the -- if we, let's just say, for example, in the

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 modeled one, that the month of May, the "377", was also  
 2 zero. Would that imply, if the unit was able to run,  
 3 it would be running at 100 percent capacity?  
 4 A. (Cannata) Yes.  
 5 Q. Okay. And, so, what they modeled was the only time  
 6 that it would not be economical to dispatch the unit  
 7 was for 377 hours in the month of May?  
 8 A. (Cannata) Yes.  
 9 Q. And no other time?  
 10 A. (Cannata) Correct.  
 11 Q. And, what was unique about May?  
 12 A. (Cannata) Well, May is traditionally the lowest load  
 13 period of the power year period. It's the lightest  
 14 load. And, generally, that's when you will have the  
 15 lowest costs on an ISO basis. The prime driver of the  
 16 economic reserve shutdown would be the price of gas.  
 17 And, in your earlier conversations, you talked about  
 18 some things that affect the price of gas. And, as a  
 19 wholesaler, like if you have a warm winter, all of a  
 20 sudden you don't have demand for gas in the following  
 21 summer to fill your caverns, and the price of gas  
 22 drops. And, that did happen in 2012, which has other  
 23 ramifications. You don't know that, when you're making  
 24 the projections.

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 Q. So, in this case, they projected that it would not be  
 2 economic to dispatch it for a total of 377 hours, and,  
 3 in fact, it was not economical for 952?  
 4 A. (Cannata) That is correct.  
 5 Q. But, jumping to "Merrimack 2", they projected that it  
 6 would be -- it would be economic to dispatch any hour  
 7 of any month that it was available. That's the zeros?  
 8 A. (Cannata) Yes.  
 9 Q. Okay. But, in fact, it wasn't economic to dispatch it  
 10 "2,331" hours?  
 11 A. (Cannata) That's correct.  
 12 Q. Okay. And, going across to "Schiller 4", we have the  
 13 same thing. The projection was a little over a  
 14 thousand; the reality was over 4,000. "Schiller 5",  
 15 I'm not quite sure why it shows zeros in both columns?  
 16 A. (Cannata) Because it's a wood plant. It's not based on  
 17 coal. And, as was discussed with the REC credits, in  
 18 the economics, it becomes basically economic as long as  
 19 it runs.  
 20 Q. Okay. So, it runs -- basically, with that, it runs all  
 21 the time?  
 22 A. (Cannata) Yes.  
 23 Q. Okay. And, then, Schiller 6, we have "1,488"  
 24 projected; and the actual was "4,682". And, in

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 Newington, it actually ran a little bit more than what  
 2 was projected, is that correct? The actual on this?  
 3 A. (Cannata) Yes.  
 4 Q. Yes. Okay. But, overall, especially for Schiller, the  
 5 Schiller 4 and 5 and Merrimack 1 and 2, their estimate  
 6 was off by a substantial amount?  
 7 A. (Cannata) With the data they used, --  
 8 Q. Schiller 6 and 4, I'm sorry.  
 9 A. (Cannata) -- the actual results were much lower, yes.  
 10 Q. Okay.  
 11 A. (Cannata) And, if we could go back to -- maybe to Page  
 12 52 of the testimony, just take a quick look at that  
 13 chart. And, along the same line, what this chart shows  
 14 is capacity factors historically, and they would be  
 15 replicative of the charts you were just discussing, you  
 16 know, through time. And, we have a projected capacity  
 17 factor. That projected capacity factor, on the  
 18 right-hand side of that table, is the number that was  
 19 generated in the December ES filing, you know, with the  
 20 data we were just discussing. And, if we go to look on  
 21 the next page, on Page 53, we can see what those  
 22 projected reductions were in capacity factor on the  
 23 right-hand column, and what they actually were in the  
 24 "2011" column. And, you can see that there is a

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 significant difference.  
 2 Q. So, I guess my question would be then, given those  
 3 significant differences, and that, for the most part,  
 4 they overestimated the amount of time that their plant  
 5 would be economic to dispatch, you still conclude that  
 6 these projections were reasonable?  
 7 A. (Cannata) Because of the data that was available at the  
 8 time, yes. It's the price data, Commissioner.  
 9 Q. And, the biggest variable was the price of natural gas?  
 10 A. (Cannata) Yes.  
 11 Q. Okay. And, Mr. Cannata, again, on Page 5 of your  
 12 testimony, on Lines 16 and 17, and I'll give you a  
 13 second to get there. And, this may be answered by  
 14 anybody on the panel. But, on Line 16, it says "The  
 15 net cost of supplemental energy service decreased from  
 16 \$217 million in 2009 to \$81 million in 2010 and \$91.4  
 17 million in 2011." Can you tell us exactly what you  
 18 mean by "supplemental energy service"? And, this, for  
 19 example, the difference between the 2009 and 2011 is  
 20 \$125 million. But where does that manifest itself?  
 21 A. (Cannata) Okay. When I say "net cost of supplemental  
 22 energy", that's the total net cost as seen by  
 23 customers. Public Service buys energy, sells energy,  
 24 they have excess energy on their system. And, whatever

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

- 1 they do with those purchases and sales comes to the net  
 2 cost to customers.  
 3 Q. Excuse me just one second, so I'm clear on that. When  
 4 you say that, so, if the -- the energy that they  
 5 produce at their own plants and use to serve their own  
 6 load is not included in this?  
 7 A. (Cannata) Yes, it is.  
 8 Q. It is. Okay. So, this is all energy, whether they  
 9 produce it or they -- or they buy it?  
 10 A. (Cannata) Use it for myself, or sell it on the market,  
 11 whatever has happened, you put it all together and you  
 12 come up with a net number, and that's what these  
 13 numbers represent.  
 14 Q. Okay. All right.  
 15 A. (Cannata) In 2000 -- and, I'll do this as we go on, in  
 16 2009, there were many long-term contracts that Public  
 17 Service had entered into, I believe it was in 2007,  
 18 they were "must take" contracts, and they were  
 19 extremely more expensive than what was available in the  
 20 market. But PSNH was not able to reduce their cost,  
 21 because they were locked into these long-term  
 22 contracts. And, if we go back to that docket, this is  
 23 where we start talking about focusing more on the  
 24 shorter term values, because there was a tremendous  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

- 1 to the economic collapse across the country, and, as  
 2 we're seeing more and more now, an influx of gas  
 3 supply. So, the landscape changed, and has contributed  
 4 to these numbers. I just want to make that clear for  
 5 the Commission.  
 6 A. (Cannata) And I would agree with that.  
 7 Q. Okay. And, Mr. White, would you agree then that, with  
 8 Mr. Cannata's statement, that "the net cost of  
 9 supplemental energy service", which you're saying is  
 10 the net cost of buying and selling and producing,  
 11 whatever, "decreased from 207 [217?] million in 2009 to  
 12 91 million in 2011"?  
 13 A. (White) Yes. We provided a lot of the data to Mr.  
 14 Cannata that leads to these figures.  
 15 Q. And, that's a rather huge decrease in net cost of  
 16 supplemental energy service, wouldn't you agree?  
 17 A. (White) Yes, I would.  
 18 Q. And, where does that savings show up? How does it  
 19 manifest itself? We're talking about an over  
 20 50 percent decrease.  
 21 A. (White) Well, the "savings" flow to ES customers. It's  
 22 a result of the volume of purchases made for delivery  
 23 in year 2009 was a much greater volume than in 2010 or  
 24 '11.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

- 1 value being lost by customers. As the contracts  
 2 cranked out, to 2010, some of -- I believe three out of  
 3 the five dropped off in 2010, and two remained, two  
 4 50-megawatt long-term contracts remained in 2011, the  
 5 so-called "legacy contracts". Those contracts ended in  
 6 2011.  
 7 So, in determination -- or, excuse me,  
 8 in addition to the change in the price of the fuels  
 9 that took place during that time, the loss of the  
 10 long-term obligation at fixed prices was the main  
 11 reason why these numbers fell.  
 12 Q. All right. Thank you.  
 13 A. (White) If I could clarify one item?  
 14 Q. Yes.  
 15 A. (White) Those purchases being referred to as the  
 16 "legacy contracts", the purchases were made in 2008.  
 17 And, it's been discussed in other dockets. They were  
 18 made at market prices at that time. They weren't  
 19 overpriced at the time they were made. And, that they  
 20 were determined to be prudent purchases for those  
 21 years, 2009 and '10, for that reason. That was the  
 22 market price at the time we entered into those  
 23 purchases. As it turned out, by the time the delivery  
 24 year occurred, the market had dramatically changed, due  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

- 1 Q. Okay.  
 2 A. (White) That, coupled with migration, drove more of  
 3 those purchases surplus, and sold into a lower-priced  
 4 market. There was just a greater volume in 2009 than  
 5 in either '10 or '11. As Mr. Cannata indicated, the  
 6 volume decreased through those three years, to zero in  
 7 2012, but the largest volume was in 2009.  
 8 Q. Okay. So, the combination of the economic slowdown and  
 9 the migration led to just actually producing and buying  
 10 less energy, so the net cost went down?  
 11 A. (White) Yes.  
 12 Q. Okay.  
 13 A. (White) That contributes. Yes.  
 14 Q. Okay. I had a few questions on some of the things that  
 15 came out of the Settlement Agreement, and I guess  
 16 what's in there and what's not in there. So, I was  
 17 quickly going to go through some of my questions. This  
 18 is on Mr. Cannata's testimony, Exhibit 2. I guess I'm  
 19 just going to start from the beginning and walk through  
 20 it. So, I'm on Page 8, in the middle of the page, Line  
 21 10, I just want to make sure I'm not getting the wrong  
 22 idea here. Just let me know when you're there, Mr.  
 23 Cannata.  
 24 A. (Cannata) I'm there.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 Q. Okay. This is talking about the tripping of breakers.  
2 Where someone was doing some cleaning, and apparently  
3 they inadvertently opened a breaker and caused an  
4 inadvertent trip. And, you state in here about  
5 "Dusting left to right is possible if it is performed  
6 lightly, but this method increases the chance of  
7 opening a breaker...Dusting panels vertically will  
8 virtually eliminate the possibility of an inadvertent  
9 breaker [trip?]. An operator with a reasonable  
10 understanding of the breaker panel function...would  
11 recognize this." I just want to make it -- get clear  
12 here. You're not stating that it was the way the  
13 person was cleaning that makes this outage cost prudent  
14 or not prudent, but is it simply the fact that an  
15 inadvertent action, for whatever reason, by a Public  
16 Service employee or contractor caused the outage and,  
17 therefore, it's not prudent?

18 A. (Cannata) I think I'm saying both, Commissioner. And,  
19 you know, think of a breaker panel in your home, where  
20 the breakers fold in when they're on. If you clean --  
21 if you were dusting your breaker panel going  
22 side-to-side, there would be a possibility of opening  
23 the breaker, if you caught the breaker and hit it hard  
24 enough, but there is a resistance to do so. Wiping  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 A. (Cannata) All right. It would probably not be  
2 imprudent. Imprudence is always tied back to  
3 management. Always. Only management can be prudent or  
4 imprudent. And, if the operator did something he  
5 wasn't sure, did management have the proper training  
6 program for them? Did management conduct proper  
7 training? And, so that, what I try to do is tie that  
8 all back to management's actions. You know, did  
9 management provide the proper form?

10 Q. Just so I'm getting this, because this morning I want  
11 to try to establish what we're using here as a  
12 threshold. If somebody just happened to go  
13 [indicating], and leaned back against the panel, just  
14 not thinking, and they caused the plant to trip, you  
15 would say that that would not -- that the ratepayers  
16 should pay for that cost associated with that?

17 A. (Cannata) Not necessarily, no. I mean, an operator  
18 should be aware of their -- of their actions, no matter  
19 what they're doing. And, in my testimony over the  
20 years, I refer that to "operator inattention". And  
21 "operator inattention" means "in space".

22 Q. And, if there's a policy, you know, "Don't touch panels  
23 inadvertently", and somebody touched them  
24 inadvertently, because of whatever reason, I'm trying  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 vertically, it's virtually non-existent to have that  
2 probability. The fact that the breaker was tripped  
3 meant to me that there was too much pressure applied  
4 when cleaning and popped the breaker. And, I did not  
5 see that a person that was functional in their job,  
6 knew their job parameters, would apply such pressure,  
7 if they had a real knowledge of what they were doing.

8 Q. Okay.

9 A. (Cannata) And the consequences of it.

10 Q. I guess what I'm trying to establish is your threshold  
11 for what you just decided was prudent and wasn't  
12 prudent. Let's just say, in this example, instead of  
13 the person dusting caused the breaker to open  
14 inadvertently, the person tripped over their shoelace  
15 or slipped on something on the floor, and put their  
16 hand forward and hit the breaker and opened it by  
17 mistake. Would you consider that "prudent" or  
18 "imprudent", the resulting costs?

19 A. (Cannata) And, I don't mean to be hard to pin down  
20 here, but, if somebody had left a tool box in  
21 contradiction to safety rules and procedures, that was  
22 in a manner which caused that accident for that person  
23 to trip, it may still be imprudent.

24 Q. What if he just tripped, there was no tool box?  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 to determine, would you consider that prudent or not  
2 prudent, the costs associated with that outage?

3 A. (Cannata) I would want to look at all the details, and  
4 see what management puts forward as their response to  
5 the reason why it happened, what procedures were  
6 involved, what procedures weren't involved. It isn't  
7 something that's just cut-and-dry. And, that's why I  
8 look at every single outage with that perspective,  
9 Commissioner.

10 Q. Okay. Well, let's look at --

11 A. (Cannata) And, unfortunately, sometimes we look at  
12 outages that have very little cost associated with it,  
13 but it's the principle of the thing on how you run your  
14 organization.

15 Q. Okay. Well, let's look at a couple.

16 A. (Cannata) Sure.

17 Q. I've got another question on Page 13. Because I'm  
18 going to go through these as they come, and basically  
19 just the order of pages. The bottom of Page 13,  
20 starting with Line 19, it talks about a recommendation  
21 to Schiller Station regarding two outages. It says "In  
22 these events, PSNH experienced a reverse relay problem  
23 with Unit 4. PSNH secured and installed a used relay  
24 from its electrical contractor. The problem persisted.

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

1 Investigation found that, although the relay was  
 2 functionally tested, full tasting was not performed."  
 3 Now it appears that the lack of full testing is what  
 4 caused the additional outage. Am I reading this  
 5 correctly?  
 6 A. (Cannata) That's correct.  
 7 Q. Okay. And, would you say, in that case, that it was  
 8 imprudent of Public Service not to properly test the  
 9 relay?  
 10 A. (Cannata) Public Service took a relay that was given to  
 11 them as functioning properly, as being tested. And,  
 12 that's why the recommendation is such that, if you're  
 13 going to be dealing in used parts, and you most likely  
 14 will as your units get old, because they're not in a  
 15 new form or from the manufacturer, that you establish  
 16 some type of a knowledge of testing. What has this  
 17 relay -- what does it say to us? And, the problem here  
 18 was is that incorrect information was being interjected  
 19 into the analysis of tracking down what the problem is,  
 20 because it's like putting in a brand-new spark plug in  
 21 your car that's bad, and you've still got your skip,  
 22 and you start to go into that mode of very difficult to  
 23 find it. Public Service did the correct things, in  
 24 terms of tracking it down. That they got into that  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

1 mode and starting questioning it, and they finally  
 2 dragged it out, "hey, the relay is bad." And, then,  
 3 when the full manufacturer's testing was done, which is  
 4 not normally done to functionally test a relay, right?  
 5 When the full manufacturer tested, they found it was  
 6 bad, but it worked properly on functional testing.  
 7 Q. Well, let me -- I'm going to use your analogy, and  
 8 maybe we can come to a closer meeting of the minds  
 9 here. I take my car into a mechanic because it has a  
 10 problem, a skip or whatever. He says "well, you need  
 11 new spark plugs." He puts the new spark plugs in, I  
 12 drive it home, the same problem shows up. Now, I go  
 13 back and say "It's still there. The problem didn't go  
 14 away." So, he takes out one of the spark plugs and  
 15 does a closer inspection on it, and says, "you know,  
 16 there's a crack on the insulation on this spark plug.  
 17 It's no good." Who pays for that? I don't pay for it,  
 18 for the replacement spark plug. The person who did the  
 19 inefficient repair pays for it.  
 20 So, if we're saying that, because of  
 21 lack of testing and lack of knowledge, when you're  
 22 buying used or refurbished parts, which I know, from my  
 23 own experience, that you obviously have to look at  
 24 those a lot closer than you would new parts under a  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

1 manufacturer's warranty, because you're probably buying  
 2 this without any warranty or whatever, you don't know  
 3 exactly where they have been, what they have been  
 4 through. But, if you don't take the proper steps to do  
 5 the proper test to make sure that that part's going to  
 6 work, I would think that that would be -- any cost  
 7 associated with that lack of testing would be borne by  
 8 the utility and not the ratepayers.  
 9 A. (Cannata) Well, we're not comparing apples-to-apples in  
 10 our analogy here. First of all, the mechanic that  
 11 worked on your car performed no testing of the new  
 12 parts. He just installed them, making the assumption  
 13 that they were good. Public Service did have the relay  
 14 tested for functionality to make sure it worked before  
 15 it was installed.  
 16 Q. But the testing was inadequate?  
 17 A. (Cannata) But the testing was beyond what is normally  
 18 done for used equipment.  
 19 Q. Okay. All right. I think we've covered that. We can  
 20 just continue to move on then.  
 21 CMSR. HARRINGTON: I have quite a few  
 22 more questions.  
 23 CHAIRMAN IGNATIUS: I think we have many  
 24 more questions to go. So, let's take a break right now,  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann-Smagula-White-Cannata]

1 and go off the record.  
 2 (Brief off-the-record discussion  
 3 ensued.)  
 4 CHAIRMAN IGNATIUS: We'll take a break  
 5 now for 15 minutes, and resume at five minutes of 12:00.  
 6 Thank you.  
 7 (Recess taken at 11:43 a.m. and the  
 8 hearing resumed at 12:01 p.m.)  
 9 CHAIRMAN IGNATIUS: All right. We're  
 10 back on the record. And, continue with questioning from  
 11 Commissioner Harrington.  
 12 CMSR. HARRINGTON: Thank you.  
 13 BY CMSR. HARRINGTON:  
 14 Q. Again, referring to Exhibit 2, Mr. Cannata's testimony  
 15 Page 54. And, again, I'm just going to follow  
 16 numerically my questions through the pages, so they  
 17 will tend to jump around a little bit. So, let me know  
 18 when you arrive at Page 54, Mr. Cannata.  
 19 A. (Cannata) Okay. I'm there, Commissioner.  
 20 Q. Okay. On the top of this page, it says "With regard to  
 21 migration, Accion" -- how do you pronounce that?  
 22 A. (Cannata) "Accion".  
 23 Q. -- "Accion Group concluded that it is not difficult to  
 24 do realistic forward looking market purchases when  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 approximately 35 percent of the load to be served can  
2 come and go at will with the low market prices that  
3 existed in 2011." I'm a little confused by that  
4 statement. It almost sounds as if you would be saying  
5 that "it is difficult to do with the fact that the load  
6 can come and go at will." But maybe you can comment on  
7 that.

8 A. (Cannata) The qualifier is with the low market  
9 prices --

(Court reporter interruption.)

11 CONTINUED BY THE WITNESS:

12 A. (Cannata) The qualifier is with the low market prices  
13 that existed. Gas prices went very low in 2011, which  
14 actually, although customers had the ability to come  
15 and go, the lean side was, they wouldn't.

16 BY CMSR. HARRINGTON:

17 Q. Okay. I see.

18 A. (Cannata) So that the value was very steady. So, one  
19 can claim you had customers coming and going, but that,  
20 in fact, was not what's been going on. They went and  
21 they stayed.

22 Q. Because of the low prices, it was a one-way migration  
23 only?

24 A. (Cannata) Yes.

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 ladders on the door for whatever reason, and, in fact,  
2 it resulted in a design change by moving it. Why  
3 wouldn't this be considered imprudent on Public  
4 Service's part?

5 A. (Cannata) The installation of the transformer was a  
6 turnkey operation. The transformer was bought on bid,  
7 installed, according to an RFP, to whatever performance  
8 that it had to make. It made that -- it made its  
9 performance requirements.

10 In the meantime, during that, as you  
11 say, a sudden pressure relay, which is normally mounted  
12 on a very solid surface, was mounted on the thin panel  
13 of the door, which could vibrate, even by operation of  
14 the transformer. And, it's not uncommon to have to use  
15 a ladder to get at these different relays, sight bulbs,  
16 to see what the oil level is, and at the bushings,  
17 check readings on the transformer, ladders have to be  
18 used. I have never seen a sudden pressure relay  
19 mounted on a cabinet door in my life. They're always  
20 mounted to the base of the transformer on the outside.  
21 And, you know, it's only there to detect a sudden  
22 increase in pressure internal to the unit signifying a  
23 change in gas pressure. And, think of it this way,  
24 Commissioner. If I had an old transformer, you know,

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 Q. Okay. Thank you. Going to Page 58, and this is in the  
2 -- so, I understand what we're talking about here, this  
3 has to do with the Merrimack 1 outages for 2011, and  
4 it's identified as "K".

5 A. (Cannata) Okay.

6 Q. On 9/30/11. And, it talks about how there was a trip,  
7 because an operator was taking a transformer reading,  
8 and so he placed a ladder against a cabinet door.  
9 "When the ladder was placed against the door, the  
10 sudden pressure relay activated, tripping the CAP and  
11 the unit." And, it goes on to say "Investigation found  
12 that the sudden pressure relay was mounted on a thin  
13 metal cabinet door and the placement of the ladder must  
14 have jolted the relay, causing its operation. Such  
15 [sudden?] pressure relays are usually mounted on the  
16 transformer itself and are outdoor installations. PSNH  
17 relocated the relay to an area in the back of the  
18 cabinet where vibration would not be an issue."

19 Now, this doesn't -- this doesn't appear  
20 on that list, so I'm assuming this is one that you felt  
21 was a prudent outage. And, it seems to me as if we  
22 have a question of a possibly improper design, where  
23 the relay was mounted on a thin cabinet door, and then  
24 people resting ladders up against the door, banging

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 with a 2-inch casing on it, nice and solid. And, I put  
2 that reverse -- or, that pressure relay there, when  
3 that gets a spurt of pressure on the inside of the  
4 transformer, it will register it. But, mounting it on  
5 a thin material that can vibrate, because it only has  
6 to be as physically thick as needed to function and  
7 close the door, it can operate the relay. And, that's  
8 what happened.

9 Q. I understand what happened. But, I guess, the first  
10 one I'd say, "why would they be leaning ladders up  
11 against thin metal cabinets?" That would seem to me  
12 that would be a improper maintenance practice. But,  
13 clearly, what you're saying is there's a design flaw  
14 here. Now, the fact that the design was done by a  
15 subcontractor, again, it's Public Service's plant, it's  
16 their RFP. They must do some inspection or  
17 qualification of the person. It sounds like they used  
18 someone who come up with a bad design. And, what  
19 you're saying is, because of that, the ratepayer should  
20 pay for this outage?

21 A. (Cannata) Well, it goes back to my definition of  
22 "prudence". As to, what did PSNH do that was  
23 imprudent? They went to qualified manufacturers. I'm  
24 sure -- and they took out bids, and they did an

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 assessment. They put in performance requirements of  
 2 the package, and installed it. And, the thing -- the  
 3 package was inspected and accepted.

4 Q. Well, okay. Let me make my point with maybe a little  
 5 more extreme example. Let's say they had a qualified  
 6 person, qualified manufacturer, qualified vendor, and  
 7 they came in and they installed something backwards or  
 8 whatever, such that it blew up a whole extremely  
 9 expensive transformer and took the plant down for six  
 10 weeks. Would that be then a prudent -- who should pay  
 11 for that?

12 A. (Cannata) That would come out in the performance  
 13 testing, the acceptance testing of the unit. You check  
 14 your connections and that type. And, so, I would  
 15 expect something like that, if that did not get  
 16 included in the inspection testing, that would be  
 17 something that more than likely would be considered  
 18 imprudent. If you didn't do testing that would connect  
 19 -- that would detect improper connections.

20 Q. But you don't think a visual inspection, which would  
 21 have, as you said, you've never seen this type of thing  
 22 mounted to a thin metal cabinet before, that someone on  
 23 Public Service should have looked at it and said "hey,  
 24 this doesn't make sense. Why is this on this thin  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 metal door?"

2 A. (Cannata) Right. Correct.

3 Q. Okay. All right. Well, I'll move on. Okay. Moving  
 4 ahead to Newington outages for 2011, Page 68. And,  
 5 this is "B". And, I'm not going to read the whole  
 6 thing, but it talks about there was a problem with a  
 7 breaker, and resulting -- caused the unit to trip.  
 8 And, says "During the conversion to an all gas  
 9 start-up, PSNH configured the start-up procedure to use  
 10 two gas guns", and goes on and on. And, then,  
 11 basically, it concludes that PSNH made -- a change to  
 12 the procedure was made, and "no further incidents have  
 13 occurred during start-up." So, it appears the problem  
 14 here was a problem with a PSNH procedure. Again, why  
 15 is that not imprudent, if their start-up procedure  
 16 needed to be changed to prevent the incident from  
 17 occurring again?

18 A. (Cannata) PSNH had a start-up procedure to start the  
 19 Newington unit on oil. PSNH also had a start-up  
 20 procedure to start up the unit on gas, but it was not  
 21 an all gas start-up procedure. It required quite a bit  
 22 of oil, something on the order, I think, of \$40,000  
 23 worth of oil to start the unit. PSNH decided to  
 24 determine what is required to be able to start the unit  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 on all gas, saving that \$40,000. And, what this was  
 2 was an iterative process on bringing that mechanism  
 3 through all gas. And, at this particular point there  
 4 was a slight surge, where they had to add a different  
 5 burner in there to reduce the pressure. So, they found  
 6 something that was wrong, and then, when they changed  
 7 the requirement on the number of burners, they are now  
 8 successful to be able to start the unit on all gas, no  
 9 oil, and pass that \$40,000 of savings to customers.

10 Q. So, this was a -- you might say a "start-up test" that  
 11 was being done to determine the proper procedure to  
 12 use?

13 A. (Cannata) R&D, or, you know -- yes.

14 Q. Okay. I guess I wasn't clear from reading this, but  
 15 you clarified it with your statement. Thank you.  
 16 Okay. Moving along to Page 84, and this is -- trying  
 17 to figure out which plant we're in here. I guess its  
 18 still Newington, I don't see a change. And, this is  
 19 starting on Page 83, and going onto 84. Again, there's  
 20 another outage here, and I'm going to, for time, I'm  
 21 not going to read the whole thing. But it talks about  
 22 start-up and trip, start-up and trip, start-up and trip  
 23 repetitive times. "After a one-hour pause, a fifth  
 24 attempt was made to start the motor and was successful.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 Investigation found that new motor protection relays  
 2 installed during the spring overhaul had a more  
 3 conservative-than-necessary overload curve built into  
 4 the start logic. With vendor assistance, PSNH then  
 5 modified the logic to be less conservative." And,  
 6 then, it goes on to say, as a result, "the unit has  
 7 sustained a delayed phasing to the system. PSNH also  
 8 counseled the operator." So, I don't know exactly what  
 9 they counseled the operator on, but it sounds like  
 10 there might have been some operator mistake. And,  
 11 there was also an incorrect either design or purchase of  
 12 a part resulting in this "more  
 13 conservative-than-necessary overload curve being built  
 14 into the start logic." Why is that the ratepayers'  
 15 responsibility to pay for?

16 A. (Cannata) The particular process that was taking place  
 17 was, like I said, starting the induced and forced draft  
 18 fans, which have been replaced. Now, when they were  
 19 replaced, the logic and starting logic was changed on  
 20 what they were able to do by starting the fans. The  
 21 window -- and the procedure does not say that, "when  
 22 your induced draft fans hit 17.2 pounds, you press this  
 23 button, and, when it hits 18, you press this button."  
 24 It's more of a, not the correct words, "trial and  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 error", but it's a process -- historical process. You  
 2 get an amp, you know, so long as it's above five, so,  
 3 okay. And, the reason why the operator was counseled,  
 4 it was probably cut a little bit close on the low end.  
 5 I'm not able to verify whether the button was pushed at  
 6 5 or 4.9 and caused the problem. Public Service had  
 7 concern with that, so they counseled the operator.  
 8 Q. But you still felt that there was no imprudency on  
 9 their part, even though they had to counsel their  
 10 operator?  
 11 A. (Cannata) Well, if I cannot make a case that shows  
 12 imprudency, I tend not to recommend it.  
 13 Q. Okay.  
 14 A. (Cannata) And, I would agree with you, there was an  
 15 operator issue there. And, they changed the procedure  
 16 and counseled the operator.  
 17 Q. Okay. Let's -- moving ahead to Schiller 5, and this is  
 18 on Page 77. And, I have to admit, I'm having a little  
 19 trouble following what's going on here. But it starts  
 20 out on May 21st, and it talks about there was a plant  
 21 trip. "PSNH found a previous logic update it made was  
 22 incompatible with the Emerson controller format  
 23 installed during the overhaul." Then, a few days  
 24 later, on 5/30, we have "The furnace draft was acting  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 erratically and tripped on the high furnace" -- no, I'm  
 2 sorry, that's not -- "high furnace pressure". Then,  
 3 6/20, "the furnace draft was acting erratically",  
 4 again, the same thing, "(up and down) and finally  
 5 tripped on the high furnace pressure. Investigation  
 6 revealed no cause and...returned to service." So, that  
 7 happened on 5/30 and on 6/20. On 6/26, "the furnace  
 8 draft was acting erratically (up and down)" again,  
 9 "finally tripped on low furnace pressure." So, the  
 10 same issue now has taken the plant off line, the 5/21,  
 11 5/30, 6/20, and 6/26, each -- and from various  
 12 timeframes.  
 13 And, then, it kind of concludes down  
 14 here, Emerson, which is the -- I guess the vendor, said  
 15 that the -- it said that PSNH found among -- let me  
 16 start with the beginning. "Investigation revealed that  
 17 the lag time air demand signal was too long and reduced  
 18 it. PSNH also found that the boiler bias time  
 19 master... needed setting changes. The changes were  
 20 made, PSNH found similar setting changes were made in  
 21 May 2010, and were transferred to Emerson for DCS  
 22 upgrade during the Spring 2011 overhaul."  
 23 "Emerson investigation found that the  
 24 logic control updates made by Public Service were not  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 compatible with their update and the system reverted to  
 2 default settings. Emerson states that because of this  
 3 incompatibility with the new update logic version,  
 4 updates to this controller need to be made manually."  
 5 And, then, goes on "Public Service has  
 6 held discussion with Emerson...and the process for  
 7 future updates has been changed to reduce...similar  
 8 occurrences."  
 9 So, it appears that there was a  
 10 reoccurring problem here that, for at least the first  
 11 three times, it was just "We don't know what's going  
 12 on. Let's just start up again." And, whoops, it  
 13 causes a trip. "We don't know what's going on, let's  
 14 return to service. Whoops, we tripped. We don't know  
 15 what's going on. Our investigation revealed no cause,  
 16 and returned to service."  
 17 So, it took, like, one, two, took the  
 18 fourth outage before they actually did a thorough  
 19 investigation of this. So, again, I'm somewhat  
 20 concerned why -- why that has to happen before they  
 21 took the time to investigate what was causing the  
 22 problem. And, you know, the root cause of the problem  
 23 here, it appears to be some settings that were set  
 24 wrong by somebody. And, again, I'm not quite sure why  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 that wasn't imprudent on the part of Public Service?  
 2 A. (Cannata) Okay. These two units use an immense amount  
 3 of logic controls, which are just computers. You know,  
 4 they have settings, and, when they hit those settings,  
 5 they do what they're told to do. And, what we had here  
 6 was, as it was traced later on, that there was not  
 7 enough lag to the trip. Each -- when we start off, we  
 8 have an indication, that an alarm comes in, if its  
 9 indicated, we have an alarm. And, if it stays in alarm  
 10 long enough, it will go to a trip. Well, the trip is  
 11 done either upon the indication, and what Public  
 12 Service did is they found that to trip, as stated, and  
 13 you're exactly correct as you go through your logic,  
 14 and the tripping should not have been taking place,  
 15 because the indication was incorrect. They were  
 16 getting incorrect indication, which was leading to it.  
 17 So, they disconnected the trip circuit, and they still  
 18 had the alarm circuit, "Is there a problem? Let's go  
 19 investigate."  
 20 Once these settings are made, these  
 21 settings are change all during the year, two years, or  
 22 between the updates of the controller logic. Emerson  
 23 came in, even though they had -- even though Public  
 24 Service said, "okay, on such and such, we found this to  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 be a problem. We changed it to this to correct it, and  
 2 now it's working again." Because there are different  
 3 problems here, it's the same issue, but different  
 4 problems.

5 They passed them onto Emerson. It was  
 6 internal to Emerson's control logic that those changes  
 7 were not compatible. So, their logic controller reset  
 8 them back to the settings that were causing the trips.  
 9 So, after they come in through with the annual overhaul  
 10 above, in the large outage above, these trips started  
 11 to come out, when Public Service had already researched  
 12 and put proper settings in a year earlier. And, there  
 13 was -- I don't know if it was completely a  
 14 communication problem internally with Emerson, but the  
 15 recommendation was to make sure that these things get  
 16 done, and a manual system had to be done to ensure that  
 17 those changes get done, so they don't have similar  
 18 interruptions to operation, because these were solved  
 19 problems. The logic was being changed back to old  
 20 settings.

21 Q. Okay. Well, when did it get set back to old settings,  
 22 prior to the 5/21 outage?

23 A. (Cannata) Yes, during the annual overhaul. What  
 24 Emerson does, it will come into its controller and  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 A. (Smagula) You know, some discussions occurred with  
 2 Emerson regarding their services, but there was no  
 3 replacement power compensation that was discussed.  
 4 And, there is no contractor that would do business with  
 5 a utility that would have that type of clause in any  
 6 agreement.

7 Q. Well, were there any replacement cost recovery for any  
 8 of the extra work and so forth done by Public Service,  
 9 not just -- and forgetting the replacement power costs  
 10 for a second?

11 A. (Smagula) I don't recall at this time.

12 Q. All right. Thank you. Moving along, to Page 79. This  
 13 one, I'm just -- it's listed at the bottom of the page,  
 14 and it says "O". And, the very last couple of words  
 15 there, after explaining what happened, it says "See  
 16 Outage P below." But I don't have an "Outage P". You  
 17 know, so, I just -- I don't know if there is something  
 18 wrong with my package or --

19 A. (Cannata) Do you have a Page 80?

20 Q. No. Oh, that's why. I'm missing some pages. That's  
 21 why. Okay. So, --

22 CHAIRMAN IGNATIUS: Yes. I was missing  
 23 some of the other pages you were talking about for some  
 24 reason.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 perform a master update. Take all the changes that  
 2 have been made to all the settings, so that you start  
 3 out with like a new base case, if you would.

4 Q. Uh-huh.

5 A. (Cannata) And, then, you make additional changes to  
 6 keep track of that. Well, when they made this base  
 7 case update, they reinserted, you know, I don't know  
 8 how many settings incorrectly, that were already hunted  
 9 down by PSNH and corrected.

10 Q. So, prior to the outage, I assume it would be April --

11 A. (Cannata) It would be the annual --

12 Q. -- the outage that started in April, Public Service  
 13 made adjustments to these settings that such that this  
 14 problem wouldn't occur. And, then, Emerson came in  
 15 during the outage, and, as part of their work during  
 16 the outage, reset the settings such that caused the  
 17 problem to occur?

18 A. (Cannata) It was automatically reset, yes.

19 Q. Okay. And, was there any attempt by Public Service in  
 20 order to receive compensation or recover costs from  
 21 Emerson on this?

22 A. (Cannata) They generally do. But I would like to defer  
 23 to Mr. Smagula, where he could say exactly what they  
 24 had out with Emerson on that.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 BY CMSR. HARRINGTON:

2 Q. Okay. Well, let's forget about that one. That was  
 3 just blind, anyway. So, I -- I wasn't sure what the  
 4 big issue was there. Okay. Let's move up to Page 86.  
 5 And, this is more of a comment. Since this is a public  
 6 document, I was kind of surprised to see, on the bottom  
 7 of Page 86, that, and since I don't think it's -- it's  
 8 no longer the case, but when you -- it's already been  
 9 made public, "Unit 1 and Unit 2 at Amoskeag have black  
 10 start capability", I didn't think the naming of black  
 11 start capable units was issued -- was released to the  
 12 public, just for security reasons. So, kind of  
 13 surprised to see that in here.

14 A. (Cannata) Is that something the Commission wishes? We  
 15 have --

16 Q. Well, I believe it's ISO-New England's policy that they  
 17 don't identify black start capable units, because  
 18 they're so critical to restoring the grid if an entire  
 19 grid crashed. But, I also, and without asking for an  
 20 answer to the question, I also think there's probably a  
 21 good start that these units are no longer black start,  
 22 or will not be shortly, because of the change in ISO  
 23 policy, where they're going to much larger black start  
 24 units.  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 On Page 89, and we're dealing with  
2 Amoskeag Station. And, at the very top of the page, it  
3 talks about an outage. And, it took three more days  
4 than originally planned, which could happen for a lot  
5 of reasons. But, in this case, it seems that "PSNH  
6 diverted manpower at other location where outage timing  
7 was more important. PSNH's approach increased the time  
8 of the outage to perform the work scope." Can you just  
9 give us some more information on that?

10 A. (Cannata) Sure.

11 Q. I mean, was this bad planning on their part or --

12 A. (Cannata) In order to be thorough, rather than just  
13 look at planned outages of the large units, we take a  
14 look at the planned outages of the smaller units also.  
15 And, what this paragraph reflects is that the outage  
16 was planned to be done in four days. Could have been  
17 done in four days, but there was no water to run all  
18 the units. So, PSNH reassigned their people working on  
19 this particular outage to another station, and it could  
20 have been Hooksett, or something like it, where it has  
21 only one unit, where that extra effort would bring a  
22 unit back quicker and produce savings to customers.  
23 And, I just wanted to point out that, yes, it overran  
24 its time, but there was virtually no cost to customers

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 reinforce", "agrees to review", that type of thing.  
2 But, my question to the utility, first is, is do you  
3 have an idea what the cost will be to implement the  
4 Settlement Agreement?  
5 A. (Smagula) At this point, as I recall the issues, we  
6 will enact a group of people to perhaps study an issue  
7 and come up with specific recommendations. The  
8 recommendations may result in hardware changes, may  
9 result in procedural changes. It may result in a  
10 letter being issued to ISO-New England. I don't think  
11 -- I see this as part of our normal work, and not  
12 additional huge cost. There was some issue here having  
13 to do with consider replacing some switches, some  
14 Mercoid switches. There may be a cost there. But, if  
15 it's an action that results in improved reliability,  
16 then it would be an appropriate thing to do. So, I  
17 don't see a huge cost here in these activities. If  
18 there was, then I think there would have been further  
19 discussion in the development of the Settlement  
20 Agreement. But I see these as all reasonable things to  
21 proceed with.

22 Q. Okay. So, can I get you to say for the record that  
23 you, only if you agree, obviously, that you believe  
24 that the -- if you did a cost/benefit analysis, the

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 in doing so, and there was actually savings at another  
2 station.  
3 Q. That's fair enough. I just wasn't sure from the  
4 explanation.

5 CMSR. HARRINGTON: That's all the  
6 questions I have at this time. Thank you.

7 CHAIRMAN IGNATIUS: Thank you.  
8 Commissioner Scott.

9 CMSR. SCOTT: Good afternoon. I want to  
10 -- I will preference -- preface, excuse me, thanks, Steve,  
11 my questions with, I just want to make clear, obviously,  
12 we recognize that there is a balance to be made between  
13 investigations and how thorough we go, compared to the  
14 efficiencies of the Company and the cost/benefit,  
15 basically, of what we do here at the Commission and the  
16 utilities. So, that's my preface. So, I just want that  
17 in the context of my questions.

18 BY CMSR. SCOTT:

19 Q. So, when I look at the Settlement Agreement, I see the  
20 agreements, in some respects, it's kind of what the  
21 utilities agreed to do, and uses language such as, in  
22 many cases, "will review", "will look at", "will make  
23 clear to ISO-New England". There's some language on  
24 Page 5 about "appropriate and economical", "agrees to

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 benefit of anything that came out of the Settlement  
2 Agreement exceeds the cost of what goes into that?  
3 A. (Smagula) Yes. I would agree with that statement.  
4 Q. And, again, I didn't mean to imply that, by signing  
5 this, you weren't agreeing to that, but I wanted to  
6 hear that on the record. So, thank you.

7 Similarly, again, in the context of  
8 balance, obviously, Mr. Cannata did, I think, to use  
9 your words, Mr. Smagula, I think you used the word  
10 "extremely" thorough, is that fair?

11 A. (Smagula) Yes. That was the most superlative adjective  
12 I could think of at the moment.

13 Q. And, again, maybe I'll put you in an unfair position.  
14 Clearly, Mr. Cannata's job is to find "were you  
15 prudent", and to do a good analysis of your operations.  
16 Do you feel that that level of thoroughness was  
17 warranted?

18 A. (Smagula) I think, well, I won't -- I think the level  
19 of thoroughness that was employed was, I'm assuming,  
20 consistent to what the Commission and Staff wanted, and  
21 there was a very thorough review. And, if that's what  
22 was sought, then that's what was clearly received. But  
23 it was lengthy and detailed. And, as you can see from  
24 the report, a lot of information was shared openly.

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 And, whether it was warranted is for  
2 someone else to judge. I just know that it was a very  
3 thorough job. And, if that's what the Commission  
4 wanted, they certainly got it. And, I think, you know,  
5 it's -- we look at these investigations, they're a lot  
6 of work for us. But I believe what occurs is that the  
7 Commission has a third party to look at how we operate,  
8 what decisions we make, actions we take. And, if you  
9 look over time, I think, in general, and I'll give you  
10 my opinion, I think it demonstrates that we do a pretty  
11 good job trying to do the right thing for our  
12 customers. And, where there's an opportunity for us to  
13 learn or to improve, we grab on to those. We do that  
14 ourselves internally. But, if you have an external set  
15 of eyes and ears, that's a different perspective that I  
16 think, again, benefits us and our customers. So, it's  
17 thorough, and there's value there.

18 A. (Cannata) And, if I could comment along that line, if I  
19 may? From about 2000 to 2007, 2008, before the market  
20 started to change, when the units were baseloaded, the  
21 increased output in energy at these stations increased  
22 by about 30 percent. Because a lot of the -- you know,  
23 we don't just go through looking "you did this wrong"  
24 or "you did that wrong." "You could do this better."

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 They take it back, evaluate it, because only they  
2 really have all the information they need to run the  
3 company. They take it back and they make improvements.  
4 And, a lot of times we see things, as we go through  
5 these, details that are inconsistent, they find out  
6 they're making changes as we're doing this, I don't  
7 call it an "investigation", it's more like a "review".  
8 There's a level of a review. And, so, we have a  
9 review, they see something, and they're continually  
10 trying to improve their operations. They will take the  
11 recommendations and come out and try to improve their  
12 operations based on those.

13 Q. That's fair enough. Thank you. No, that's helpful.  
14 Thank you. Do you feel moving forward that the same  
15 level of review is needed or is there a better way to  
16 do things on that end?

17 A. (Smagula) Are you asking me?

18 Q. I'm looking at you. So, I guess I am.

19 A. (Smagula) I think our customers gain value. I guess it  
20 would be up to the Commission and Staff to determine  
21 whether the same level of detail is needed. But we've  
22 become accustomed to the level of detail that occurs.  
23 And, I think -- I think there's value in it, so.

24 We have a similar approach, that we have

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 an internal audit group that audits our environmental  
2 activities. And, I am the first one to go down to that  
3 group, it's based in Connecticut, to solicit their  
4 review of all of our facilities each year. Our  
5 personnel in our stations know I'm going to do that  
6 every year, they would just as soon have a year off and  
7 not have a prudency or a very thorough investigative  
8 review, but I think it ends up being better for us. So  
9 that, should there be an agency review, such as EPA or  
10 a DES review, that we are that much better, we are that  
11 much more prepared. And, we find very few problems,  
12 violations in place, whether it be with any type of  
13 audit.

14 So, I enjoy and look forward to reviews  
15 and audits. Certainly, here, with the Commission, I  
16 have exposure, financial exposure, more than I do with  
17 others. But I still think there's benefit.

18 CMSR. SCOTT: Thank you very much.

19 That's all I have.

20 CHAIRMAN IGNATIUS: Thank you. A couple  
21 of questions about terms in the Settlement Agreement that  
22 I need interpreting.

23 BY CHAIRMAN IGNATIUS:

24 Q. If I look at Page 5, Number 4, I read the words, but I

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 confess I don't really follow what it means. And,  
2 whether someone from PSNH or, actually, since PSNH has  
3 agreed to take a step in making clear this issue to  
4 ISO, it would be interesting to hear how PSNH  
5 interprets what this sentence means: "That all  
6 requested unit starts that are shorter than committed  
7 start-up times are made on a best efforts basis only"  
8 and then here's the part that I don't get, "and it's  
9 not responsible if the start-up time requested is less  
10 than the committed startup time." Not responsible to  
11 who, for what?

12 A. (Smagula) When a unit gets a request to go on line from  
13 ISO-New England, we have documents on file that say  
14 that, if the unit is in a cold condition, that it will  
15 take a certain number of hours. And, also, for a given  
16 unit, we say that, if the turbine is in a hot  
17 condition, it's a shorter period of hours, because  
18 there's already some heat in the equipment.

19 There are times, however, when we get a  
20 call and say "can you get the units on as fast as  
21 possible?" That's occurred a number of times in the  
22 last few days with Schiller Units 4 and 6. And, they  
23 were in a hot condition. And, they said "could you get  
24 them on as fast as possible?" Now, if our hot start-up

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 time is -- I'll just, I don't recall exactly what it  
 2 is, but let's say it's four hours, we may say "yes, we  
 3 think we can get it on in three hours." If -- you  
 4 could interpret that communication as a "commitment"  
 5 that we will be on in three hours. This agreement  
 6 states that we need to make it clear that, when we  
 7 communicate that to ISO-New England, that we'll say "we  
 8 have a four-hour hot start. We will make "best  
 9 efforts" to get it on in three, but we won't give you  
 10 that commitment." So that there's no contractual or  
 11 penalty that could then be, in fact, enforced upon us  
 12 for being -- not meeting a three hour opinion or verbal  
 13 commitment. And, I think that's what this is about.  
 14 Is to make sure that, when we make a statement that we  
 15 could be on sooner, in concert with a sooner request,  
 16 that it will be on a "best efforts" basis, and that we  
 17 are not, the person at the station or any other  
 18 employee of Northeast Utilities is not making a formal  
 19 commitment. And, we say that verbally now. We've  
 20 already instituted these actions. But we will consider  
 21 what's appropriate to put on record for them.  
 22 A. (Cannata) The outage in question, Commissioner, was  
 23 just that. It was an eight-hour start-up time, they  
 24 asked for it in something like six hours, Public  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 Service got the unit on in six and a half hours, and  
 2 got dinged, because they didn't make start-up. You  
 3 see, there's a penalty that fall back to customers.  
 4 And, what this was was an effort to be able to prevent  
 5 the ISO from hurting our customers, working in the best  
 6 interest of the ISO.  
 7 Q. But this term in the Settlement doesn't in any way  
 8 change what ISO-New England does, does it?  
 9 A. (Cannata) No.  
 10 A. (Smagula) No.  
 11 Q. So, it's merely a request that the communications be  
 12 absolutely clear that, if PSNH says "we'll do  
 13 everything we can to get it up in the timeframe you'd  
 14 like, but we still are committed to nothing more than  
 15 the traditional start-up time"?  
 16 A. (Smagula) Correct.  
 17 Q. In the case that you just described, Mr. Cannata, where  
 18 PSNH came in ahead of the committed time, but not quite  
 19 on target with the requested time, and you said "ISO  
 20 dinged them for it", was that explained and any sort of  
 21 penalty undone?  
 22 A. (Cannata) I believe it flows through the availability  
 23 data, you know, when they keep track of that. Because  
 24 a unit gets complex credits and costs through there, it  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 gets put into that database. And, I don't believe, and  
 2 I can be corrected here, but I don't believe there was  
 3 any undoing on whatever that harm was for that outage.  
 4 A. (Smagula) I don't recall.  
 5 Q. That wasn't a financial penalty, it was just changing  
 6 the data on availability?  
 7 A. (Smagula) I don't recall the specifics of this case.  
 8 A. (Cannata) In my opinion, everything gets translated to  
 9 money somehow. If it goes into a database, you know,  
 10 you hear about it, and it affects something in some  
 11 minute way. I'm not sure we could track, it might be  
 12 like looking at the rate impact of the \$2,200 in forced  
 13 outage reduction. It's that type of a thing. But,  
 14 it's in there, and it's in there because of that  
 15 reason. And, that's why we're trying to bring it,  
 16 because there is a harm that will come back.  
 17 Q. Just below that, in Number 5, there is a recommendation  
 18 based on things that were found in this docket's  
 19 review. And, then, when you get to the -- following  
 20 the format of every other recommendation, what PSNH  
 21 agrees to do, it says to turn to "2012, Number 10",  
 22 which is on the next page. So, is it fair that the  
 23 response to Number 5 is that PSNH is agreeing to -- I'm  
 24 not even sure I understand what the Accion  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 recommendation is, so, it's a little hard to say what  
 2 it is that's being agreed to. Maybe we should step  
 3 back a bit, before we turn to the following page, just  
 4 on 5 alone. "Accion recommended that if the over trip  
 5 outages are found to be systemic", after the analysis,  
 6 "the system reliability design incorporate the unit  
 7 over trips into system design criteria on a local  
 8 basis, only if other economic remedies are not  
 9 available." Can you describe what all of that means,  
 10 because it's not sinking into my brain?  
 11 A. (Cannata) Okay. Could I answer that question?  
 12 Q. Sure.  
 13 A. (Cannata) PSNH has on their system areas of the system  
 14 which trip generators that should not trip for the  
 15 particular fault. Usually, a fault will isolate the  
 16 element that has the fault on it. These trips were  
 17 occurring 10 miles away. So that it's due to the  
 18 system dynamics, the transient stability of the system,  
 19 these type of things. And, in at least two locations,  
 20 it appears, with what's been done to date, they're not  
 21 going to be able to fix it. And, their design criteria  
 22 requires, for the 34 kV system, that the system be  
 23 designed to withstand a contingency with one generator  
 24 out of service on peak load. If you get an over trip,  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 you wind up with two generators out of service, which  
2 would allow you to overload something, which you're  
3 designing the system not to overload. What this says  
4 is, if you can find something economic to fix it, you  
5 do it. Otherwise, incorporate that over trip into your  
6 design, so that your system is capable of withstanding  
7 the contingencies that you're designing it to. In  
8 other words, include the effects of the over trip in  
9 the design.

10 Q. But, none of that deals with the problem that started  
11 that doesn't seem to be solved, it's just trying to  
12 work around it, is that true?

13 A. (Cannata) This recommendation has been in the books  
14 since 2009. It's one of the more harder ones to  
15 implement. It requires a lot of work. And, Public  
16 Service has agreed to do that. So, you know, that is  
17 not an issue. This came out as part of the system  
18 investigation and the faults that we're seeing. Why  
19 should this unit over here trip for a fault in  
20 Manchester? It's just wrong, all right. And, when you  
21 look at the system, it's really the system impedences,  
22 the electrical tightness of the system. It's weak.  
23 Either you rebuild the entire system much stronger to  
24 correct that or you incorporate it in the design. And,

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 what that would do is, if you have to include the over  
2 trip, you may have to build the line a few years  
3 earlier, because it's loading a little bit heavier, but  
4 your system is meeting its reliability criteria. Right  
5 now, Public Service's 34 kV design criteria is not  
6 being met. They cannot say that these over trips are  
7 not going to cause overloads if they have the outages.  
8 And, all this says is, "well, if you can't fix it, make  
9 sure they do, and do the most economic of the two. If  
10 you can fix it, well, do it. If not, incorporate it  
11 into the design criteria. Whichever is cheapest."

12 Q. And, from PSNH, whoever wants to field this one, is  
13 that your -- what is your understanding of the next  
14 steps required, looking at both Number 5 and Number 10?

15 A. (Smagula) I believe we will be making sure that we have  
16 a person in our company who is familiar with running  
17 these analyses, and that the analyses get done. And,  
18 perhaps I would say a more pointed focus associated  
19 with the generating facilities, such as is the case  
20 that we are working -- talking about, has to do mainly  
21 with hydros that are at the end of a long line. And,  
22 that line, any impacts to the reliability of that line  
23 or any transients that occur on that line have a more  
24 likely risk of the unit being tripped. We would reset

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 it, start it up within a short period of time, but you  
2 still have more likelihood of that. It's different  
3 than one of our fossil facilities or a facility that's  
4 larger and more -- and not as remote. But the actions  
5 that we need to undertake are clear in our mind. There  
6 have been numerous technical discussions internally,  
7 there have been numerous technical discussions with Mr.  
8 Cannata. So, the expectations of the Company are  
9 clear. We need to have competent people who can learn  
10 and understand how to run these analytical models of  
11 the system, the electrical system, in order to  
12 determine whether there are transient problems or not.  
13 And, if there are problems, then, as Mr. Cannata  
14 indicated, what solution path is prudent to follow and  
15 at what cost. And, then, we'll make some  
16 determinations, and we'll provide a report and  
17 information. So that, in future reviews, we'll further  
18 try to resolve these complex, but lingering, issues.

19 Q. So, for the next -- or, how long do you think those  
20 studies will take?

21 A. (Smagula) Well, we had changes in personnel, we had  
22 changes in the software. I think we have internal  
23 resources that were focused on it. I think our  
24 intention would be to place a high focus on that this

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 year. So, I'm afraid the people who do this work don't  
2 work for me, it's something I'm familiar with and can  
3 discuss, but it's not an area of my direct familiarity  
4 or responsibility. So, I'm reluctant to make a  
5 commitment. But I think our interest is to try to get  
6 a lot of this work done this year. I'm not sure how  
7 long it will take.

8 Q. And, so, the first step is the analysis, and then some  
9 sort of design, in response to what you've learned, and  
10 consultation, after that's been developed with the  
11 Staff, or filing something or just installation and we  
12 see what happens?

13 A. (Smagula) You run an analysis, you look at the  
14 information, and then you have decisions and options to  
15 consider. And, then, you make a decision to do  
16 something or not. And, if you do decide to do  
17 something, do you make a modification with the  
18 equipment at the facility? Do you want to make a  
19 modification on the line? *Etcetera.*

20 A. (Cannata) And, to be clear, there's more than one  
21 generating station involved. That PSNH has targeted  
22 their analysis to the most "susceptible" that they're  
23 going to be working on first. But, then, after you  
24 tackle those, the idea is to go back to the others that

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 may still have issues, but are less pressing, and go  
 2 back and correct whatever needs to be corrected there.  
 3 Q. I know, Mr. Cannata, you had testified that you  
 4 reviewed the decisions PSNH had made in light of the  
 5 contents of the 2010 Least Cost Plan, which has not yet  
 6 been ruled on by the Commission.  
 7 A. (Cannata) A little update on that? Okay. What I  
 8 called the "2008 Least Cost Plan" -- or, the "2010",  
 9 was the Plan that was submitted in 2008, but not really  
 10 approved until 2010. Prior to that, the previous  
 11 approved plan was in the Fall of '07, I believe.  
 12 Currently, there is a plan that was filed in 2010 that  
 13 is still, I used "2012", but the year has slipped by.  
 14 And, so, that might be what I would call the "2013  
 15 requirements".  
 16 Q. All right. So, what you reviewed, and in your  
 17 testimony stated that you found the decisions to be  
 18 consistent with, was the Plan that was last approved by  
 19 the Commission in 2010?  
 20 A. (Cannata) That is correct.  
 21 CHAIRMAN IGNATIUS: I have no other  
 22 questions. Commissioner Cannata, another question? Or,  
 23 excuse me.  
 24 CMSR. HARRINGTON: You just got a new  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 job, Mike.  
 2 CHAIRMAN IGNATIUS: Harrington.  
 3 (Laughter.)  
 4 CMSR. HARRINGTON: I guess I should just  
 5 walk out now.  
 6 BY CMSR. HARRINGTON:  
 7 Q. A couple questions on the Settlement Agreement. On  
 8 Page 6, at the bottom of the Page 5 and the top of Page  
 9 6, you're talking about the "Mercoïd switches". Is  
 10 there some -- I'm assuming that these Mercoïd switches  
 11 are, obviously, they have been made illegal by the  
 12 state, so they can't be replaced in kind, so the  
 13 replacement is now some type of the Reed switch. And,  
 14 again, I'm making assumptions based on what's not  
 15 written here, I guess. There was no periodic or time  
 16 based change-out for the Mercoïd switches, they would  
 17 just change them out when they failed?  
 18 A. (Cannata) Correct.  
 19 Q. Okay. And, now, the suggestion is that we come up with  
 20 some type of a scheduled replacement of the Reed  
 21 switches. Is this due to something about the Reed  
 22 switches, that they have a known service life, and this  
 23 is to anticipate --  
 24 A. (Cannata) If it says "replacement of the Reed  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 switches", that's incorrect.  
 2 Q. Okay. I'm sorry.  
 3 A. (Cannata) It should be "replacement of the Mercoïd with  
 4 Reed switches".  
 5 Q. Right. That's what I meant.  
 6 A. (Cannata) Okay.  
 7 Q. Replacement of the Reed -- what we're saying is that,  
 8 so, the schedule is -- let me back up a little bit.  
 9 Why do we need a time-bounded program for the  
 10 replacement of the Mercoïd switches? Or is there any  
 11 particular reason? I mean, in the past, when they were  
 12 legal, they would be replaced on failure. And, is  
 13 there something associated with that law that they have  
 14 to be removed from the plant by a certain time or is it  
 15 just removal on failure a replacement with something  
 16 that doesn't contain mercury?  
 17 A. (Cannata) Removal on failure would be fair, but they're  
 18 problematic. They're always causing problems. Some of  
 19 these switches, when they get replaced, they require  
 20 new sensors in the inside of the generators or the  
 21 water wheels, because the bearing temperature. Those  
 22 can only be changed during times when you have the  
 23 units apart, which might not be for five years. So,  
 24 when that says "time based", it's a flexible term, to  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 allow them to work it into a planned schedule. It may  
 2 not occur for five years.  
 3 Q. So, this isn't a attempt to more rapidly get rid of  
 4 Mercoïd switches, it's an attempt to upgrade the design  
 5 by replacing them with Reed switches, which you're  
 6 saying -- sounds like is a better choice of action,  
 7 whether or not mercury was outlawed by the State or  
 8 not?  
 9 A. (Cannata) That's correct.  
 10 Q. Okay. All right. Just trying to get that clear. And,  
 11 just sort of a general statement on a lot of these  
 12 conditions. I felt that some of them were kind of  
 13 surprising. On Page 4, which I don't know which  
 14 numbers to use, I'll use the "2012-1" number, which is  
 15 "1". It says that "there are now situations that may  
 16 exist that could result in failures of both Merrimack  
 17 units." So, there's some type of a common mode of  
 18 failure that could take them both out. And, PSNH  
 19 agrees to review this. I find that rather surprising  
 20 that they hadn't already done that as just good utility  
 21 practice. And, rather than -- I'll give you a chance  
 22 to comment on the end here in a second.  
 23 The next one down, "2012-2", talks about  
 24 assumptions that were used to -- in the planning  
 {DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 process for an outage schedule that weren't verified.  
2 And, now, "PSNH agrees to review planned outage  
3 schedules to detect assumptions that need to be  
4 verified." I would think that basic to making an  
5 assumption -- a schedule for an outage that you would,  
6 if you were making assumptions, you verify that they  
7 were accurate.

8 On the next one, "2012-3", this is the  
9 testing we already talked about, and "PSNH agrees to  
10 add the testing performed on used or refurbished parts  
11 to the part's history documentation." Again, if you're  
12 using used or refurbished parts, I would think that  
13 that would be, just again, good utility practice.

14 Skipping over to Page 6, where it says  
15 "2012-8, "PSNH agrees to reinforce to employees the  
16 importance of understanding and confirming the  
17 appropriateness of a replacement that is not in kind."  
18 Again, if you're not putting the same thing back in  
19 that you took out, that's just basic Power Plant 101.  
20 That people should understand and make sure that the  
21 replacement one that's not in kind is going to, in  
22 fact, perform the job of the original one. And, you're  
23 not making an unanalyzed design change to the plant.

24 The next one down, "2012-9, "PSNH agrees  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 to review changes in the compatibility of material used  
2 in interface connections and to strengthen its  
3 training." Again, if you're going to put materials  
4 together for interface connection, I think the first  
5 thing you would look at is the compatibility of the  
6 materials, to make sure that they work together. So,  
7 and I will give you, obviously, a chance to comment on  
8 this, it strikes me that most of these recommendations  
9 are good utility practice that Public Service should  
10 have been practicing all along. I find it kind of hard  
11 to believe you entered into an agreement saying that  
12 "we don't do this, but we will."

13 A. (Smagula) I don't believe that's what the Agreement  
14 indicates, Commissioner. And, when you indicated that  
15 you don't believe that these things aren't in place  
16 now, I'll comment that they are all in place. That I  
17 believe, in every case, whether it looks at Item 1  
18 where "Accion recommends that we review, possible  
19 failure conditions and to determine need for spare  
20 parts", I think the key part of the sentence there is  
21 "if it has not already done so". We have done this, in  
22 rigorous detail, with our own engineers, with the  
23 engineers from the equipment suppliers, with their  
24 engineers from United -- with URS. I think, however,

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 questions were raised in discussions, and, as compared  
2 to debating the need to go and double-check, the need  
3 to go and review again, we determined that, if there  
4 was a discussion with the Commission's consultant, that  
5 arguing that case and trying to win it on the merits of  
6 our technical position that we believe that this has  
7 already been done, when, in fact, the discussion  
8 continued on, we determined that it was reasonable for  
9 us to go back and double-check, to go back and do it.  
10 It's not an admission that it wasn't done. It's an  
11 admission that there's nothing ever wrong with going  
12 back and reviewing something again, because you could  
13 learn something, you could find something, and it is  
14 not an indication that there is an error.

15 Q. That makes me feel much better.

16 A. (Smagula) Well, I could go down each one of these --

17 Q. No, that's not necessary, if that's your --

18 A. (Smagula) -- with a similar dialogue. But we would not  
19 enter into an agreement on something that we felt as  
20 though indicated that we were in error. And, we feel  
21 as though these recommendations, as has been the case  
22 in prior years, that debating the fine points of it are  
23 not necessarily providing value in the time and the  
24 effort of the Commission's consultant or in our staff,

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 or on our customers' behalf. But, in fact, there is  
2 nothing ever wrong with going back and double-checking  
3 practices, procedures, spare parts, large capital spare  
4 parts. Over the years we've done a lot of these  
5 things. And, through the course of it, I would say the  
6 great majority of efforts we've made have resulted in  
7 the fact that we were comfortable and we were very with  
8 what we had done, and we can demonstrate that in a  
9 subsequent year's review that something we had been  
10 asked to do was done appropriately, and that we've  
11 reviewed it again.

12 There are times, however, when we do  
13 find that, yes, there is a refinement, there is an  
14 enhancement to a procedure, there is a modification to  
15 a spare parts process. There is -- it is always  
16 appropriate to look at our planned outage activities  
17 before the outage and say, you know, "we know what our  
18 scope of work is, we know exactly what the resources  
19 are to complete that scope of work, we know what parts  
20 are needed, we know what workforce is needed."  
21 However, there's nothing wrong with saying that, a week  
22 before the outage, "have we learned anything different  
23 in the prior few weeks, as compared to when we set our  
24 schedule three weeks or four weeks earlier, has

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 anything been different that we could make a smaller  
2 adjustment in our schedule, a small adjustment in our  
3 workplan?" And, I'm hard-pressed to say "No, we're  
4 perfect. We did it four weeks before the outage.  
5 We're good. We don't have to do it." But I think this  
6 is saying, "as you get closer to the outage, see if  
7 there's more information that's crept in. Make sure  
8 you do a double-check. So that, when you initiate your  
9 outage, your scope is that much more tuned with regard  
10 to resources that are needed."

11 So, hard for me to say "no, we don't  
12 need that incremental tuning." So, yes, while it may  
13 give an indication that there's something wrong, I read  
14 it as though "you can always do a little bit better  
15 perhaps". And, that's what we are committing to on  
16 each of these, in order to get that much more better  
17 based on a recommendation here.

18 Q. Thank you. That makes me feel a lot better.

19 A. (Smagula) Yes.

20 Q. But I think you can understand how some can read it the  
21 other way.

22 A. (Smagula) I mean, I'm -- yes, I can understand it.  
23 And, as you were going through these, I was very  
24 concerned about how they were being read. And, I'm  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 A. (Cannata) That's correct.

2 Q. Is that the plan that you were referring to that was  
3 approved by the Commission in 2010?

4 A. (Cannata) Yes.

5 MR. MULLEN: Okay. Thank you. Just one  
6 other thing. Staff would like to recognize that I believe  
7 this is Mr. Baumann's last time appearing before the  
8 Commission, as he will be retiring very shortly, along  
9 with that, Mr. Puzio, who is sitting at the second table  
10 on the other side of the room. Staff just wants to  
11 express its thanks for their work on this case, as well as  
12 the many other cases they participated in over the years.

13 CHAIRMAN IGNATIUS: Thank you. Is that  
14 true? Is this really it? Last time --

15 WITNESS BAUMANN: That's true.

16 CHAIRMAN IGNATIUS: Last time he said  
17 that you said "No, no, I'm coming back."

18 WITNESS BAUMANN: No, I'm not coming  
19 back. I will miss some of the work, and I will miss all  
20 of the people.

21 CHAIRMAN IGNATIUS: Well, that's nice.  
22 You have always been extremely thorough and forthright on  
23 the stand, and always, my sense, has always tried very  
24 hard to come up with good answers to questions, even when  
{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 very thank you for your question. Because, if you  
2 didn't ask it, I would be concerned that other people  
3 may read it the same way. And, thank you.

4 CMSR. HARRINGTON: Okay. Thank you.  
5 That's all the questions I had.

6 CHAIRMAN IGNATIUS: That concludes our  
7 questioning. Mr. Fossum, redirect to your witnesses?

8 MR. FOSSUM: No, I don't have anything.

9 CHAIRMAN IGNATIUS: Ms. Amidon, redirect  
10 to Mr. Cannata?

11 MS. AMIDON: Yes. With your permission,  
12 Mr. Mullen has a few questions.

13 CHAIRMAN IGNATIUS: That's fine.

14 MR. MULLEN: Just quickly.

15 REDIRECT EXAMINATION

16 BY MR. MULLEN:

17 Q. Mr. Cannata, could you turn to Page 54 of your  
18 testimony.

19 A. (Cannata) I'm there.

20 Q. And, you just had a discussion with Chairman Ignatius  
21 in relation to the Least Cost Plan. If you look at the  
22 last paragraph on Page 54, it says that "PSNH's actions  
23 were consistent with its least cost plan as modified on  
24 March 28, 2008."

{DE 12-116} {01-16-13}

[WITNESS PANEL: Baumann~Smagula~White~Cannata]

1 we weren't always sure what we were asking. So, I  
2 appreciate that.

3 WITNESS BAUMANN: Thank you.

4 CHAIRMAN IGNATIUS: Wish both of you all  
5 the luck in the world. I guess you're excused, and we're  
6 going to have an opportunity for closings. Before we do  
7 that, can I just ask, because there's a weird ringing  
8 going on, if anyone's got a cellphone, a computer near the  
9 microphone, that may be what's causing it.

10 CMSR. HARRINGTON: Or, if you're not  
11 using it, just turn it off. Sometimes that helps as well.

12 CHAIRMAN IGNATIUS: Just talking about  
13 it made it better. All right. So, anything other than  
14 striking identification -- well, actually, before we do  
15 that, is there any objection to striking the  
16 identification and making these full exhibits?

17 MS. AMIDON: No.

18 CHAIRMAN IGNATIUS: Seeing none, we'll  
19 do that. Anything else to address before closings?

20 (No verbal response)

21 CHAIRMAN IGNATIUS: There is none. If  
22 you're okay staying there, why don't you just, if it's  
23 easier, stay where you are.

24 So, let's ask first for Ms. Chamberlin,

{DE 12-116} {01-16-13}

1 closing argument?

2 MS. CHAMBERLIN: Thank you. PSNH is  
3 authorized under RSA 369-B:3 to collect from Default  
4 Energy Service customers the actual, prudent, and  
5 reasonable costs. I submit to the Commission that  
6 collecting from residential customers the carrying costs  
7 of generation in economic shutdown is not reasonable. If  
8 PSNH believes that there is value to these plants, then  
9 they should carry the costs. Whatever value there may be  
10 is to the system as a whole, and does not come directly to  
11 PSNH's residential customers, who make up the majority of  
12 the Energy Service, the base through which the Energy  
13 Service gets collected.

14 Looking at the evidence presented, the  
15 Newington plant is an obvious candidate for retirement.  
16 It operates the fewest number of hours, it is a thermal  
17 plant, it's an old plant. It simply is there. It's no  
18 longer operating as a baseload plant, it's operating  
19 essentially as a peaking plant. Again, which is a benefit  
20 to the ISO region, perhaps, but not a particular benefit  
21 to New Hampshire's residential customers. I submit that  
22 this plant could be easily replaced with other capacity  
23 that is either on line or about to be on line.

24 PSNH has the authority to seek  
{DE 12-116} {01-16-13}

1 defined set of costs or all of the costs of keeping the  
2 plants available, in the event they need to be run?

3 MS. CHAMBERLIN: All of the costs  
4 keeping the plants available.

5 CHAIRMAN IGNATIUS: So, staffing,  
6 equipment, maintenance?

7 MS. CHAMBERLIN: Yes.

8 CHAIRMAN IGNATIUS: Thank you. Ms.  
9 Amidon.

10 MS. AMIDON: Thank you. As you know  
11 that this docket is conducted on an annual basis to allow  
12 investigation of the prior calendar -- of a prior calendar  
13 year to determine whether the costs incurred by PSNH are  
14 the actual, prudent and reasonable costs of operating  
15 their -- of providing Default Service pursuant to 369-B:3,  
16 IV(1)(A).

17 We believe that the investigation  
18 conducted by Staff's consultant and the resulting  
19 Settlement Agreement supports the conclusions in the  
20 Settlement Agreement that the costs were reasonable and  
21 actual costs incurred by the Company. And, we think that  
22 the Settlement Agreement is a just and reasonable solution  
23 -- resolution of the issues in this docket, and is in the  
24 public interest pursuant to the Commission's Rule Puc  
{DE 12-116} {01-16-13}

1 retirement any time it wants under 369-B:3-a, the  
2 Commission has to make a finding, but PSNH has the  
3 authority to make that request. As PSNH has chosen not to  
4 do so, I submit that they should carry the costs of these  
5 uneconomic generation. If they have -- if their concern  
6 is future capacity, they want to keep these things on line  
7 maybe they will be valuable, and maybe they will prevent  
8 -- that there's a backstop for the volatility of the gas  
9 prices. All of those things, they may be prudent  
10 decisions, but they do not result in reasonable costs to  
11 New Hampshire's residential ratepayers. And, for that  
12 statute to have meaning, it's not just "actual", it's not  
13 just "prudent", but it's "actual, prudent, and  
14 reasonable". And, at this level, we've come to the point  
15 where these costs are no longer reasonable to be borne by  
16 the default customers.

17 And, it would be a fairly  
18 straightforward calculation to determine what were the  
19 carrying costs, what were the capacity payments that were  
20 the benefit, offset that, identify the number, and  
21 disallow it from recovery. And, that's what I would  
22 submit to the Commission should be done in this case.

23 CHAIRMAN IGNATIUS: And, when you refer  
24 to "carrying costs", are you referring to a particular  
{DE 12-116} {01-16-13}

1 203.20(b).

2 And, to comment on the OCA's suggestion,  
3 while I understand, and we have seen this thing throughout  
4 many of PSNH's cases, that there are issues with the cost  
5 of generation resulting from myriad issues in the market,  
6 and other sources of energy being at a relatively lower  
7 price, I respectfully suggest that, in this proceeding,  
8 that's not what the Commission should be looking at. That  
9 the suggestion may be more appropriate for a planning  
10 docket or a prospective docket.

11 But, I think, where this proceeding  
12 concerns the operation of these plants in 2011, the  
13 Commission should approve the Settlement Agreement. And,  
14 if the judgment is to pursue this issue, to do in a -- to  
15 do that in a prospective manner, and not in a  
16 retrospective manner. Thank you.

17 CHAIRMAN IGNATIUS: Thank you.  
18 Mr. Fossum.

19 MR. FOSSUM: Thank you. I'd like to  
20 begin by actually referring back to the Commission's Order  
21 25,375, issued on June 18, 2012 in this docket. And, in  
22 that order, the Commission set or described the purpose  
23 and the scope of this proceeding. Noting that it's an  
24 annual filing by PSNH to reconcile revenues and expenses  
{DE 12-116} {01-16-13}

1 associated with stranded cost recovery and power  
 2 generation and supplemental power purchases, and this case  
 3 is for calendar year 2011. And, that these filings allow  
 4 PSNH to compare its estimated revenues and expenses with  
 5 those actually incurred in the prior calendar year. And,  
 6 either credit an overrecovery back or include an  
 7 underrecovery amount in rates. The Commission also  
 8 reviews the planned outages and associated power purchases  
 9 to determine if PSNH acts -- acted prudently regarding  
 10 those purchases and activities. And, the Commission  
 11 determines the extent to which cost claims should be  
 12 recovered by customers and reviews plant performance,  
 13 plant outages, replacement power purchases, and other  
 14 purchases of power and capacity, as well as the prudence  
 15 and reasonableness of PSNH's incurred capital costs, and  
 16 whether it has appropriately accounted for and reconciled  
 17 Energy Service and stranded costs and any offsetting  
 18 revenues. This Commission specifically noted that issues  
 19 regarding PSNH's planning process or forecasts of power  
 20 needs, costs or related factors are considered in the  
 21 context of PSNH's Least Cost Integrated Resource Plan, and  
 22 will be considered in the context of the LCIRP docket or  
 23 in a future Energy Service rate setting docket, as  
 24 appropriate, and are beyond the scope of the instant

{DE 12-116} {01-16-13}

1 through all of the detail contained in the filing. Thank  
 2 you. We're adjourned.

3 (Whereupon the hearing ended at 1:09  
 4 p.m.)

{DE 12-116} {01-16-13}

1 proceeding.

2 So, keeping in mind that scope, the  
 3 Staff's consultant reviewed the issues as defined by the  
 4 Commission. And, as noted in the Settlement Agreement  
 5 filed on December 26th and presented today, Staff, through  
 6 its consultant, concluded that PSNH acted prudently and  
 7 reasonably. Staff did recommend that PSNH not recover  
 8 certain outage costs, and PSNH has agreed to not seek  
 9 those costs from customers in the interest of the  
 10 Settlement. PSNH has also agreed to implement certain  
 11 recommended changes regarding operation and maintenance on  
 12 a going forward basis. And, in these circumstances, and  
 13 in light of the scope of this case, PSNH has acted  
 14 prudently and reasonably with respect to the operation of  
 15 its plants, its power purchases, and the accounting of its  
 16 costs and revenues.

17 And, therefore, PSNH would ask that the  
 18 Commission accept and approve the Settlement Agreement in  
 19 this case, with the understanding that issues about plant  
 20 retirement or the like are not appropriate for this  
 21 docket. Thank you.

22 CHAIRMAN IGNATIUS: Thank you. All  
 23 right. With that, we will take the matter under  
 24 advisement. And, appreciate everyone's work in going

{DE 12-116} {01-16-13}

\$	17.2 pounds [1] 80/22 18 [2] 80/23 120/21 19 [2] 2/8 68/20 1:09 [1] 123/3 1st [3] 4/5 12/21 33/1	41.5 percent [1] 29/22 42 percent [1] 29/23 43 [1] 2/10 43.03 [2] 10/24 11/24 43.39 [2] 10/24 11/24 43.95 [1] 11/20 44.88 [1] 11/20 45.1 [1] 28/9 45.1 million [1] 27/22
\$125 [1] 60/20 \$125 million [1] 60/20 \$2,000 [1] 42/11 \$2,200 [1] 99/12 \$2,203 [1] 17/15 \$200,000 [2] 22/8 22/21 \$217 [1] 60/16 \$217 million [1] 60/16 \$40,000 [3] 78/22 79/1 79/9 \$45 [1] 27/16 \$45 million [1] 27/16 \$81 [1] 60/16 \$91.4 [1] 60/16	<b>2</b> 2,331 [1] 58/10 2-inch [1] 76/1 20 [4] 2/9 82/3 82/7 82/11 2000 [2] 61/15 93/19 2006 [3] 32/22 33/1 35/12 2007 [2] 61/17 93/19 2008 [8] 32/14 33/3 33/20 62/16 93/19 105/8 105/9 114/24 2009 [10] 34/5 60/16 60/19 61/16 62/21 63/11 63/23 64/4 64/7 101/14 2010 [17] 41/22 41/23 42/1 42/6 56/18 56/20 60/16 62/2 62/3 63/23 82/21 105/5 105/8 105/10 105/12 105/19 115/3 2011 [37] 1/7 3/4 4/4 4/8 4/13 17/3 17/9 17/16 18/11 21/22 22/6 22/10 22/21 25/16 27/22 29/15 32/15 33/22 46/5 46/6 46/8 46/12 52/9 56/22 59/24 60/17 60/19 62/4 62/6 63/12 73/3 73/13 74/3 78/4 82/22 120/12 121/3 2012 [16] 4/5 12/21 13/19 15/12 16/20 24/4 29/22 41/10 41/12 42/2 42/9 57/22 64/7 99/21 105/13 120/21 2012-1 [1] 108/14 2012-2 [1] 108/23 2012-3 [1] 109/8 2012-8 [1] 109/15 2012-9 [1] 109/24 2013 [2] 1/4 105/14 203.20 [1] 120/1 207 [1] 63/11 21 [2] 82/10 85/22 217 [1] 63/11 21st [1] 81/20 22 [1] 35/3 24 [1] 10/20 25 [1] 10/22 25,375 [1] 120/21 26 [6] 10/23 13/19 15/11 16/20 82/7 82/11 26th [1] 122/5 28 [1] 114/24 296 [1] 13/21	<b>5</b> 5/21 [2] 82/10 85/22 5/30 [3] 81/24 82/7 82/11 50 [1] 34/7 50 percent [2] 34/3 63/20 50-megawatt [1] 62/4 50s [3] 33/6 34/4 46/20 52 [3] 1/23 53/22 59/12 53 [1] 59/21 54 [4] 72/15 72/18 114/17 114/22 58 [1] 74/1
'07 [1] 105/11 '10 [2] 62/21 64/5 '11 [2] 63/24 64/5	2010 [17] 41/22 41/23 42/1 42/6 56/18 56/20 60/16 62/2 62/3 63/23 82/21 105/5 105/8 105/10 105/12 105/19 115/3 2011 [37] 1/7 3/4 4/4 4/8 4/13 17/3 17/9 17/16 18/11 21/22 22/6 22/10 22/21 25/16 27/22 29/15 32/15 33/22 46/5 46/6 46/8 46/12 52/9 56/22 59/24 60/17 60/19 62/4 62/6 63/12 73/3 73/13 74/3 78/4 82/22 120/12 121/3 2012 [16] 4/5 12/21 13/19 15/12 16/20 24/4 29/22 41/10 41/12 42/2 42/9 57/22 64/7 99/21 105/13 120/21 2012-1 [1] 108/14 2012-2 [1] 108/23 2012-3 [1] 109/8 2012-8 [1] 109/15 2012-9 [1] 109/24 2013 [2] 1/4 105/14 203.20 [1] 120/1 207 [1] 63/11 21 [2] 82/10 85/22 217 [1] 63/11 21st [1] 81/20 22 [1] 35/3 24 [1] 10/20 25 [1] 10/22 25,375 [1] 120/21 26 [6] 10/23 13/19 15/11 16/20 82/7 82/11 26th [1] 122/5 28 [1] 114/24 296 [1] 13/21	<b>6</b> 6/20 [3] 82/3 82/7 82/11 6/26 [2] 82/7 82/11 60 [1] 45/23 68 [1] 78/4
<b>0</b> 0.0002 [1] 42/14 0.2 million [1] 22/21 05-01-12 [1] 3/6 052 [1] 10/19 059 [2] 11/8 11/10	2012 [16] 4/5 12/21 13/19 15/12 16/20 24/4 29/22 41/10 41/12 42/2 42/9 57/22 64/7 99/21 105/13 120/21 2012-1 [1] 108/14 2012-2 [1] 108/23 2012-3 [1] 109/8 2012-8 [1] 109/15 2012-9 [1] 109/24 2013 [2] 1/4 105/14 203.20 [1] 120/1 207 [1] 63/11 21 [2] 82/10 85/22 217 [1] 63/11 21st [1] 81/20 22 [1] 35/3 24 [1] 10/20 25 [1] 10/22 25,375 [1] 120/21 26 [6] 10/23 13/19 15/11 16/20 82/7 82/11 26th [1] 122/5 28 [1] 114/24 296 [1] 13/21	<b>7</b> 7,970 [1] 11/22 70 percent [2] 33/22 46/9 77 [1] 81/18 79 [1] 87/12
<b>1</b> 1,488 [1] 58/23 1-13 [1] 53/16 1-14 [1] 53/16 1-9 [2] 54/5 54/7 10 [7] 41/20 53/5 54/5 55/2 64/21 99/21 102/14 10 miles [1] 100/17 10 percent [1] 35/12 10,800 [1] 45/18 10-26-12 [1] 3/8 100 percent [2] 28/20 57/3 101 [1] 109/19 103.8 million [1] 11/2 103.9 million [1] 11/2 106 [1] 2/10 10:11 [1] 1/4 11 [1] 74/6 11,000 [1] 45/16 114 [4] 2/13 55/20 55/22 56/7 116 [2] 1/6 4/3 117 [1] 2/16 119 [1] 2/17 11:43 [1] 72/7 12 [4] 3/6 3/8 3/10 19/3 12-116 [2] 1/6 4/3 12-26-12 [1] 3/10 120 [1] 2/18 121 [5] 34/2 34/9 35/2 43/7 46/18 121/122 [1] 34/18 122 [3] 34/18 35/3 43/7 123 [3] 31/11 33/17 46/2 123/124 [2] 34/17 35/4 124 [4] 31/11 31/16 34/17 35/4 12:00 [1] 72/5 12:01 [1] 72/8 13 [5] 2/8 3/4 53/16 68/17 68/19 13.1 [1] 22/18 13.3 [1] 22/18 13.5 million [1] 22/16 14 [2] 3/7 53/16 141 [2] 54/6 54/10 142 [2] 54/10 54/11 15 [2] 2/7 72/5 155 [1] 41/11 16 [4] 1/4 3/9 60/12 60/14 17 [1] 60/12	2012 [16] 4/5 12/21 13/19 15/12 16/20 24/4 29/22 41/10 41/12 42/2 42/9 57/22 64/7 99/21 105/13 120/21 2012-1 [1] 108/14 2012-2 [1] 108/23 2012-3 [1] 109/8 2012-8 [1] 109/15 2012-9 [1] 109/24 2013 [2] 1/4 105/14 203.20 [1] 120/1 207 [1] 63/11 21 [2] 82/10 85/22 217 [1] 63/11 21st [1] 81/20 22 [1] 35/3 24 [1] 10/20 25 [1] 10/22 25,375 [1] 120/21 26 [6] 10/23 13/19 15/11 16/20 82/7 82/11 26th [1] 122/5 28 [1] 114/24 296 [1] 13/21	<b>8</b> 8,036 [1] 11/23 80 [1] 87/19 80s [1] 33/5 83 [1] 79/19 84 [2] 79/16 79/19 86 [2] 88/4 88/7 89 [1] 89/1
<b>1</b> 1,488 [1] 58/23 1-13 [1] 53/16 1-14 [1] 53/16 1-9 [2] 54/5 54/7 10 [7] 41/20 53/5 54/5 55/2 64/21 99/21 102/14 10 miles [1] 100/17 10 percent [1] 35/12 10,800 [1] 45/18 10-26-12 [1] 3/8 100 percent [2] 28/20 57/3 101 [1] 109/19 103.8 million [1] 11/2 103.9 million [1] 11/2 106 [1] 2/10 10:11 [1] 1/4 11 [1] 74/6 11,000 [1] 45/16 114 [4] 2/13 55/20 55/22 56/7 116 [2] 1/6 4/3 117 [1] 2/16 119 [1] 2/17 11:43 [1] 72/7 12 [4] 3/6 3/8 3/10 19/3 12-116 [2] 1/6 4/3 12-26-12 [1] 3/10 120 [1] 2/18 121 [5] 34/2 34/9 35/2 43/7 46/18 121/122 [1] 34/18 122 [3] 34/18 35/3 43/7 123 [3] 31/11 33/17 46/2 123/124 [2] 34/17 35/4 124 [4] 31/11 31/16 34/17 35/4 12:00 [1] 72/5 12:01 [1] 72/8 13 [5] 2/8 3/4 53/16 68/17 68/19 13.1 [1] 22/18 13.3 [1] 22/18 13.5 million [1] 22/16 14 [2] 3/7 53/16 141 [2] 54/6 54/10 142 [2] 54/10 54/11 15 [2] 2/7 72/5 155 [1] 41/11 16 [4] 1/4 3/9 60/12 60/14 17 [1] 60/12	2012 [16] 4/5 12/21 13/19 15/12 16/20 24/4 29/22 41/10 41/12 42/2 42/9 57/22 64/7 99/21 105/13 120/21 2012-1 [1] 108/14 2012-2 [1] 108/23 2012-3 [1] 109/8 2012-8 [1] 109/15 2012-9 [1] 109/24 2013 [2] 1/4 105/14 203.20 [1] 120/1 207 [1] 63/11 21 [2] 82/10 85/22 217 [1] 63/11 21st [1] 81/20 22 [1] 35/3 24 [1] 10/20 25 [1] 10/22 25,375 [1] 120/21 26 [6] 10/23 13/19 15/11 16/20 82/7 82/11 26th [1] 122/5 28 [1] 114/24 296 [1] 13/21	<b>9</b> 9/30/11 [1] 74/6 90 [1] 2/11 90 percent [1] 32/13 91 [1] 63/12 952 [1] 58/3 96 [1] 2/12
<b>1</b> 1,488 [1] 58/23 1-13 [1] 53/16 1-14 [1] 53/16 1-9 [2] 54/5 54/7 10 [7] 41/20 53/5 54/5 55/2 64/21 99/21 102/14 10 miles [1] 100/17 10 percent [1] 35/12 10,800 [1] 45/18 10-26-12 [1] 3/8 100 percent [2] 28/20 57/3 101 [1] 109/19 103.8 million [1] 11/2 103.9 million [1] 11/2 106 [1] 2/10 10:11 [1] 1/4 11 [1] 74/6 11,000 [1] 45/16 114 [4] 2/13 55/20 55/22 56/7 116 [2] 1/6 4/3 117 [1] 2/16 119 [1] 2/17 11:43 [1] 72/7 12 [4] 3/6 3/8 3/10 19/3 12-116 [2] 1/6 4/3 12-26-12 [1] 3/10 120 [1] 2/18 121 [5] 34/2 34/9 35/2 43/7 46/18 121/122 [1] 34/18 122 [3] 34/18 35/3 43/7 123 [3] 31/11 33/17 46/2 123/124 [2] 34/17 35/4 124 [4] 31/11 31/16 34/17 35/4 12:00 [1] 72/5 12:01 [1] 72/8 13 [5] 2/8 3/4 53/16 68/17 68/19 13.1 [1] 22/18 13.3 [1] 22/18 13.5 million [1] 22/16 14 [2] 3/7 53/16 141 [2] 54/6 54/10 142 [2] 54/10 54/11 15 [2] 2/7 72/5 155 [1] 41/11 16 [4] 1/4 3/9 60/12 60/14 17 [1] 60/12	2012 [16] 4/5 12/21 13/19 15/12 16/20 24/4 29/22 41/10 41/12 42/2 42/9 57/22 64/7 99/21 105/13 120/21 2012-1 [1] 108/14 2012-2 [1] 108/23 2012-3 [1] 109/8 2012-8 [1] 109/15 2012-9 [1] 109/24 2013 [2] 1/4 105/14 203.20 [1] 120/1 207 [1] 63/11 21 [2] 82/10 85/22 217 [1] 63/11 21st [1] 81/20 22 [1] 35/3 24 [1] 10/20 25 [1] 10/22 25,375 [1] 120/21 26 [6] 10/23 13/19 15/11 16/20 82/7 82/11 26th [1] 122/5 28 [1] 114/24 296 [1] 13/21	<b>A</b> a.m [2] 1/4 72/7 ability [1] 73/14 able [12] 44/1 48/8 48/23 52/19 57/2 61/20 78/24 79/8 80/20 81/5 98/4 100/21 about [47] 17/2 21/19 21/22 22/8 26/5 28/23 29/13 35/12 43/9 45/2 45/16 45/19 45/20 46/2 46/23 50/13 55/14 57/11 57/17 61/23 63/19 65/1 65/4 68/20 74/2 74/6 78/6 79/21 81/20 87/23 88/2 89/3 90/24 93/19 93/22 95/21 97/13 99/10 102/20 106/9 106/21 108/23 109/9 113/24 116/12 117/23 122/19 above [4] 32/13 81/2 85/10 85/10 absolutely [1] 98/12 accept [1] 122/18 acceptance [1] 77/13 accepted [1] 77/3 access [1] 52/19 accident [1] 66/22 Accion [8] 5/4 8/20 72/21 72/22 72/23 99/24 100/4 110/18 according [1] 75/7 accordingly [1] 36/4
<b>1</b> 1,488 [1] 58/23 1-13 [1] 53/16 1-14 [1] 53/16 1-9 [2] 54/5 54/7 10 [7] 41/20 53/5 54/5 55/2 64/21 99/21 102/14 10 miles [1] 100/17 10 percent [1] 35/12 10,800 [1] 45/18 10-26-12 [1] 3/8 100 percent [2] 28/20 57/3 101 [1] 109/19 103.8 million [1] 11/2 103.9 million [1] 11/2 106 [1] 2/10 10:11 [1] 1/4 11 [1] 74/6 11,000 [1] 45/16 114 [4] 2/13 55/20 55/22 56/7 116 [2] 1/6 4/3 117 [1] 2/16 119 [1] 2/17 11:43 [1] 72/7 12 [4] 3/6 3/8 3/10 19/3 12-116 [2] 1/6 4/3 12-26-12 [1] 3/10 120 [1] 2/18 121 [5] 34/2 34/9 35/2 43/7 46/18 121/122 [1] 34/18 122 [3] 34/18 35/3 43/7 123 [3] 31/11 33/17 46/2 123/124 [2] 34/17 35/4 124 [4] 31/11 31/16 34/17 35/4 12:00 [1] 72/5 12:01 [1] 72/8 13 [5] 2/8 3/4 53/16 68/17 68/19 13.1 [1] 22/18 13.3 [1] 22/18 13.5 million [1] 22/16 14 [2] 3/7 53/16 141 [2] 54/6 54/10 142 [2] 54/10 54/11 15 [2] 2/7 72/5 155 [1] 41/11 16 [4] 1/4 3/9 60/12 60/14 17 [1] 60/12	2012 [16] 4/5 12/21 13/19 15/12 16/20 24/4 29/22 41/10 41/12 42/2 42/9 57/22 64/7 99/21 105/13 120/21 2012-1 [1] 108/14 2012-2 [1] 108/23 2012-3 [1] 109/8 2012-8 [1] 109/15 2012-9 [1] 109/24 2013 [2] 1/4 105/14 203.20 [1] 120/1 207 [1] 63/11 21 [2] 82/10 85/22 217 [1] 63/11 21st [1] 81/20 22 [1] 35/3 24 [1] 10/20 25 [1] 10/22 25,375 [1] 120/21 26 [6] 10/23 13/19 15/11 16/20 82/7 82/11 26th [1] 122/5 28 [1] 114/24 296 [1] 13/21	<b>3</b> 3,111 [1] 11/18 3,178 [1] 11/18 30 [5] 45/19 81/24 82/7 82/11 93/22 30s [2] 29/16 29/16 33 [1] 11/1 33.7 million [1] 10/23 33.8 million [1] 10/22 34 [2] 100/22 102/5 35 [1] 29/17 35 percent [2] 45/20 73/1 36 [1] 29/13 36 percent [1] 29/18 369-B:3 [2] 117/3 119/15 369-B:3-a [1] 118/1 377 [5] 55/4 56/6 57/1 57/7 58/2 38 percent [1] 29/13
<b>1</b> 1,488 [1] 58/23 1-13 [1] 53/16 1-14 [1] 53/16 1-9 [2] 54/5 54/7 10 [7] 41/20 53/5 54/5 55/2 64/21 99/21 102/14 10 miles [1] 100/17 10 percent [1] 35/12 10,800 [1] 45/18 10-26-12 [1] 3/8 100 percent [2] 28/20 57/3 101 [1] 109/19 103.8 million [1] 11/2 103.9 million [1] 11/2 106 [1] 2/10 10:11 [1] 1/4 11 [1] 74/6 11,000 [1] 45/16 114 [4] 2/13 55/20 55/22 56/7 116 [2] 1/6 4/3 117 [1] 2/16 119 [1] 2/17 11:43 [1] 72/7 12 [4] 3/6 3/8 3/10 19/3 12-116 [2] 1/6 4/3 12-26-12 [1] 3/10 120 [1] 2/18 121 [5] 34/2 34/9 35/2 43/7 46/18 121/122 [1] 34/18 122 [3] 34/18 35/3 43/7 123 [3] 31/11 33/17 46/2 123/124 [2] 34/17 35/4 124 [4] 31/11 31/16 34/17 35/4 12:00 [1] 72/5 12:01 [1] 72/8 13 [5] 2/8 3/4 53/16 68/17 68/19 13.1 [1] 22/18 13.3 [1] 22/18 13.5 million [1] 22/16 14 [2] 3/7 53/16 141 [2] 54/6 54/10 142 [2] 54/10 54/11 15 [2] 2/7 72/5 155 [1] 41/11 16 [4] 1/4 3/9 60/12 60/14 17 [1] 60/12	2012 [16] 4/5 12/21 13/19 15/12 16/20 24/4 29/22 41/10 41/12 42/2 42/9 57/22 64/7 99/21 105/13 120/21 2012-1 [1] 108/14 2012-2 [1] 108/23 2012-3 [1] 109/8 2012-8 [1] 109/15 2012-9 [1] 109/24 2013 [2] 1/4 105/14 203.20 [1] 120/1 207 [1] 63/11 21 [2] 82/10 85/22 217 [1] 63/11 21st [1] 81/20 22 [1] 35/3 24 [1] 10/20 25 [1] 10/22 25,375 [1] 120/21 26 [6] 10/23 13/19 15/11 16/20 82/7 82/11 26th [1] 122/5 28 [1] 114/24 296 [1] 13/21	<b>4</b> 4,000 [1] 58/14 4,682 [1] 58/24 4.9 [1] 81/6 40 [2] 34/6 34/7 40s [1] 34/11 41.12 [1] 10/21 41.20 [1] 10/21

<b>A</b>	alarm [4] 84/8 84/9 84/9 84/18 all [66] 5/11 5/22 6/15 6/21 7/2 7/17 9/15 19/15 20/13 22/11 25/5 25/24 27/23 27/24 32/3 33/16 33/16 37/14 42/22 44/18 55/10 57/19 58/20 61/8 61/11 61/14 62/12 67/1 67/8 68/3 71/10 71/19 72/9 78/3 78/8 78/21 79/1 79/3 79/8 84/21 86/1 86/2 87/12 89/17 90/5 91/20 94/2 95/4 95/19 96/5 100/9 101/20 102/8 105/16 108/10 110/10 110/16 114/5 115/19 116/4 116/13 118/9 119/1 119/3 122/22 123/1 allow [5] 36/22 101/2 108/1 119/11 121/3 allows [1] 51/16 almost [1] 73/4 alone [1] 100/4 along [8] 5/21 48/3 59/13 79/16 87/12 93/18 110/10 115/8 already [9] 85/11 86/8 88/8 96/18 97/20 108/20 109/9 110/21 111/7 also [17] 5/3 5/6 19/20 38/24 39/9 44/5 57/1 78/19 80/7 80/11 82/18 88/19 88/20 89/14 96/15 121/7 122/10 alternative [2] 25/10 26/17 alternatives [4] 21/3 23/11 38/9 40/13 although [2] 69/1 73/14 always [13] 48/2 49/7 51/5 67/2 67/3 75/19 107/18 112/15 113/14 115/22 115/23 115/23 116/1 am [4] 8/20 69/4 94/18 95/2 Amidon [7] 1/19 2/8 2/17 5/2 19/16 114/9 119/9 among [3] 4/16 40/11 82/15 Amoskeag [2] 88/9 89/2 amount [11] 13/4 18/13 28/20 29/9 30/5 30/12 41/14 59/6 60/4 84/2 121/7 amounts [2] 41/5 41/6 amp [1] 81/2 Amy [1] 1/10 analogy [2] 70/7 71/10 analyses [2] 102/17 102/17 analysis [16] 8/8 28/6 32/3 39/17 40/8 42/15 53/1 54/7 56/6 69/19 91/24 92/15 100/5 104/8 104/13 104/22 Analyst [1] 1/17 analytical [1] 103/10 and...returned [1] 82/6 and/or [1] 23/23 annual [5] 85/9 85/23 86/11 119/11 120/24 another [6] 26/9 68/17 79/20 89/19 90/1 105/22 answer [7] 13/23 36/8 38/12 43/8 52/5 88/20 100/11 answered [1] 60/13 answers [4] 9/24 10/7 14/5 115/24 anticipate [1] 106/23 any [43] 5/12 9/19 9/20 10/3 10/9 14/1 18/22 19/13 23/2 29/3 30/19 37/1 37/23 41/10 47/1 47/14 48/17 48/22 48/23 49/15 50/22 51/6 51/16 51/22 58/6 58/7 71/2 71/6 86/19 87/5 87/7 87/7 95/12 97/17 98/7 98/20 99/3 102/22 102/23 107/10 116/15 118/1 121/17 anybody [1] 60/14 anyone's [1] 116/8 anything [8] 20/8 47/15 92/1 112/22 113/1 114/8 116/13 116/19 anyway [1] 88/3 apart [1] 107/23 apologize [1] 31/10 apparently [1] 65/2 appear [1] 74/19 appearance [1] 5/8 appearances [2] 1/14 4/17 appearing [1] 115/7 appears [6] 46/4 69/3 78/13 83/9 83/23	100/20 appendix [3] 30/21 30/22 30/23 apples [2] 71/9 71/9 apples-to-apples [1] 71/9 applied [1] 66/3 apply [1] 66/6 appreciate [2] 116/2 122/24 approach [2] 89/7 94/24 approaching [1] 45/22 appropriate [10] 16/18 23/10 52/5 90/24 91/16 97/21 112/16 120/9 121/24 122/20 appropriately [2] 112/10 121/16 appropriateness [1] 109/17 approve [4] 18/4 24/7 120/13 122/18 approved [7] 42/5 42/7 42/8 105/10 105/11 105/18 115/3 approximately [4] 22/17 42/11 45/14 73/1 April [2] 86/10 86/12 are [111] 5/12 6/7 6/19 6/24 7/2 7/11 8/2 8/19 9/19 9/20 9/23 10/3 10/9 10/11 11/3 15/10 16/10 16/23 17/17 18/17 19/8 19/9 19/14 20/4 20/4 21/23 22/20 24/16 26/18 28/17 29/5 30/7 30/9 31/2 31/2 31/14 33/7 33/10 33/21 34/8 34/17 34/18 35/18 36/10 36/24 36/24 38/9 38/10 38/18 38/19 38/21 39/11 40/9 40/11 41/21 41/22 44/4 44/20 46/1 46/15 48/11 48/16 48/22 52/23 52/24 56/17 74/15 74/16 79/7 84/3 84/20 84/21 85/2 88/21 94/5 94/17 95/10 95/10 96/6 96/7 96/19 97/17 98/14 100/5 100/8 102/6 102/20 102/21 103/5 103/8 103/12 103/13 105/1 106/11 108/15 110/9 110/16 111/22 112/12 112/19 112/20 113/10 113/15 116/23 118/15 118/24 119/13 120/4 121/20 121/24 122/20 area [4] 18/8 43/22 74/17 104/3 areas [1] 100/13 aren't [2] 30/19 110/15 arguing [1] 111/5 argument [1] 117/1 around [6] 32/14 32/22 33/3 45/19 72/17 101/12 arrangement [1] 8/21 arrive [1] 72/18 article [1] 50/12 as [130] aside [1] 22/20 ask [12] 14/17 14/20 16/4 18/2 34/14 38/3 52/3 52/10 114/2 116/7 116/24 122/17 asked [7] 9/23 10/6 14/4 24/5 45/2 97/24 112/10 asking [3] 88/19 94/17 116/1 aspect [1] 19/11 assessment [1] 77/1 assets [3] 7/18 18/8 18/11 assist [3] 40/4 50/3 51/9 assistance [1] 80/4 Assistant [1] 5/3 associated [13] 4/7 11/3 17/15 43/21 46/14 67/16 68/2 68/12 71/7 102/18 107/13 121/1 121/8 Asst [1] 1/19 assume [5] 32/2 40/9 52/13 53/10 86/10 assuming [4] 44/9 74/20 92/19 106/10 assumption [3] 52/22 71/12 109/5 assumptions [4] 106/14 108/24 109/3 109/6 at [119] 11/6 11/14 11/21 20/10 21/2 21/14 23/19 24/16 24/17 25/5 26/3 26/4 26/16 27/4 28/19 30/18 32/12 32/14 32/14 32/15 33/15 33/16 33/19 33/20 34/2 34/8 34/9 34/13 35/11 35/19 35/22 35/23 36/10 37/4 37/5 37/10 37/14 37/23 38/8 38/10 39/17 40/14 41/3 43/12 47/8 48/17 50/7 50/8 52/2 53/10 54/6 54/6 55/16 57/3 59/12 60/7 61/5
----------	--	---

<p><b>A</b></p> <p>at... [62] 62/10 62/18 62/18 62/19 62/22 68/3 68/8 68/10 68/11 68/15 70/23 72/5 72/7 72/8 72/18 73/2 73/6 75/15 75/16 77/23 79/3 81/5 83/10 87/11 87/13 88/9 89/2 89/6 89/13 89/14 90/1 90/6 90/15 90/19 90/22 91/5 92/12 93/5 93/7 93/21 94/18 95/24 97/17 99/12 100/19 101/21 102/14 102/21 103/15 104/13 104/18 106/8 110/5 110/17 112/16 114/21 115/9 117/14 118/14 120/6 120/8 123/3</p> <p>attachment [3] 11/5 54/6 54/11</p> <p>attachments [3] 3/6 3/8 13/21</p> <p>attempt [4] 79/24 86/19 108/3 108/4</p> <p>Attorney [1] 5/7</p> <p>attributable [1] 28/10</p> <p>audit [2] 95/1 95/13</p> <p>audits [2] 95/1 95/15</p> <p>authority [2] 117/24 118/3</p> <p>authorized [1] 117/3</p> <p>automatically [1] 86/18</p> <p>availability [19] 30/1 30/1 30/14 31/20 31/21 32/6 32/12 35/21 40/21 40/23 41/1 43/6 43/14 43/17 45/4 51/21 53/11 98/22 99/6</p> <p>available [17] 19/14 28/22 30/15 36/18 36/20 36/21 37/4 49/23 51/6 55/12 56/8 58/7 60/7 61/19 100/9 119/2 119/4</p> <p>average [5] 10/23 11/19 11/23 29/17 31/19</p> <p>AVI [1] 31/19</p> <p>aware [4] 12/8 28/9 42/4 67/18</p> <p>away [3] 51/1 70/14 100/17</p>	<p>44/1 44/22 46/22 48/7 49/10 49/23 50/18 51/14 51/24 52/11 55/9 55/9 56/12 58/16 60/7 61/21 61/24 67/10 67/24 68/17 69/14 69/20 70/9 70/20 71/1 73/22 74/7 76/5 76/19 83/2 84/15 85/2 85/18 88/17 88/22 93/22 94/1 96/17 98/2 98/23 99/14 99/16 100/10 102/3 107/21 111/12 114/1 116/7</p> <p>become [3] 20/6 48/5 94/22</p> <p>becomes [1] 58/18</p> <p>been [46] 4/14 4/15 18/16 19/2 19/23 24/18 29/13 34/19 38/19 40/23 41/5 47/22 48/6 50/9 50/17 51/12 51/18 52/16 52/17 52/20 62/17 71/3 71/3 73/20 80/10 80/18 83/7 84/14 86/2 88/8 89/16 89/20 91/18 100/20 101/13 103/6 103/7 104/10 105/6 106/11 110/10 111/7 111/21 112/9 113/1 115/22</p> <p>before [20] 5/12 7/5 7/19 8/11 9/3 38/2 44/8 71/14 77/22 83/18 83/20 93/19 100/3 112/17 112/22 113/4 115/7 116/6 116/14 116/19</p> <p>began [1] 33/1</p> <p>begin [3] 4/16 20/10 120/20</p> <p>beginning [4] 46/6 55/16 64/19 82/16</p> <p>behalf [5] 5/8 5/20 13/14 18/3 112/1</p> <p>behind [1] 11/6</p> <p>being [22] 13/4 19/8 20/4 20/5 22/11 33/15 41/3 62/1 62/15 69/11 69/18 79/11 80/13 85/19 91/10 95/8 97/12 100/2 102/6 102/24 113/24 120/6</p> <p>belief [1] 12/13</p> <p>believe [32] 5/20 12/6 12/21 14/9 18/14 19/10 23/20 24/6 27/21 29/15 31/11 40/3 41/24 53/12 55/2 61/17 62/2 88/16 91/23 93/6 98/22 99/1 99/2 102/15 105/11 110/11 110/13 110/15 110/17 111/6 115/6 119/17</p> <p>believes [1] 117/8</p> <p>below [3] 27/1 87/16 99/17</p> <p>beneficial [1] 39/21</p> <p>benefit [12] 38/24 39/4 39/13 39/14 49/6 90/14 91/24 92/1 95/17 117/19 117/20 118/20</p> <p>benefits [1] 93/16</p> <p>best [6] 12/12 50/7 96/7 97/8 97/16 98/5</p> <p>better [11] 43/24 93/24 94/15 95/8 95/10 108/6 111/15 113/14 113/16 113/18 116/13</p> <p>between [8] 4/9 14/22 25/7 34/7 34/15 60/19 84/22 90/12</p> <p>beyond [3] 23/1 71/17 121/24</p> <p>bias [1] 82/18</p> <p>bid [14] 36/3 36/22 37/1 37/6 37/15 37/17 37/20 38/11 40/12 40/14 44/8 44/9 44/12 75/6</p> <p>bidding [4] 39/23 40/11 44/7 49/6</p> <p>bids [1] 76/24</p> <p>big [2] 5/23 88/4</p> <p>biggest [3] 43/23 44/13 60/9</p> <p>Bilateral [2] 11/16 11/22</p> <p>bill [2] 5/19 22/14</p> <p>billing [1] 24/4</p> <p>binder [1] 12/19</p> <p>bit [9] 48/21 59/1 72/17 78/21 81/4 100/3 102/3 107/8 113/14</p> <p>black [5] 88/9 88/10 88/17 88/21 88/23</p> <p>blew [1] 77/8</p> <p>blind [1] 88/3</p> <p>block [1] 46/3</p> <p>blue [1] 32/6</p> <p>Bob [1] 5/19</p> <p>boiler [1] 82/18</p> <p>books [1] 101/13</p> <p>borne [2] 71/7 118/15</p> <p>both [8] 33/7 46/13 58/15 65/18 102/14 108/16 108/18 116/4</p> <p>bottom [9] 11/14 11/15 11/21 32/15 35/11</p>	<p>68/19 87/13 88/6 106/8</p> <p>bought [1] 75/6</p> <p>bounded [1] 107/9</p> <p>box [2] 66/20 66/24</p> <p>brain [1] 100/10</p> <p>brand [1] 69/20</p> <p>brand-new [1] 69/20</p> <p>break [2] 71/24 72/4</p> <p>breaker [12] 65/3 65/9 65/10 65/19 65/21 65/23 65/23 66/2 66/4 66/13 66/16 78/7</p> <p>breaker...Dusting [1] 65/7</p> <p>breakers [2] 65/1 65/20</p> <p>breaking [1] 49/18</p> <p>brief [3] 6/2 16/7 72/2</p> <p>briefly [3] 13/8 16/18 19/17</p> <p>bring [3] 36/13 89/21 99/15</p> <p>bringing [1] 79/2</p> <p>broader [1] 40/1</p> <p>build [1] 102/2</p> <p>built [3] 25/21 80/3 80/13</p> <p>bulbs [1] 75/15</p> <p>burden [1] 24/22</p> <p>burn [2] 27/3 35/20</p> <p>burner [1] 79/5</p> <p>burners [1] 79/7</p> <p>burning [1] 32/19</p> <p>bushings [1] 75/16</p> <p>business [1] 87/4</p> <p>but [117] 11/5 16/12 22/19 23/1 24/10 24/17 25/24 26/7 28/16 30/19 32/16 34/23 36/17 36/20 37/11 38/12 38/23 40/4 43/10 43/12 43/18 45/4 46/14 47/8 47/9 48/3 48/21 49/1 49/20 50/4 50/11 50/16 50/20 52/21 53/9 55/8 58/5 58/9 59/4 60/14 60/20 61/20 64/7 65/6 65/14 65/24 66/20 68/13 70/6 71/4 71/6 71/17 73/6 73/19 76/4 76/9 76/12 77/20 78/6 78/20 79/14 79/21 80/9 81/1 81/8 81/19 85/3 85/14 86/22 87/2 87/16 88/8 88/19 89/5 89/17 89/24 91/2 91/14 91/20 92/5 92/22 93/6 93/14 94/21 95/8 95/17 95/24 97/2 97/9 97/20 98/7 98/14 98/18 99/2 99/13 101/10 102/3 103/1 103/4 103/18 104/3 104/5 104/23 105/1 105/9 105/13 107/17 110/12 111/18 112/1 113/5 113/20 117/20 118/2 118/10 118/13 120/11</p> <p>button [3] 80/23 80/23 81/5</p> <p>buy [4] 35/22 36/9 37/8 61/9</p> <p>buying [5] 51/24 63/10 64/9 70/22 71/1</p> <p>buys [1] 60/23</p>
<p><b>B</b></p> <p>B:3 [3] 117/3 118/1 119/15</p> <p>back [38] 26/20 30/18 33/17 34/24 48/19 49/20 49/24 50/18 59/11 61/22 67/2 67/8 67/13 70/13 72/10 74/17 76/21 85/8 85/19 85/21 89/22 94/1 94/3 98/3 99/16 100/3 104/24 105/2 107/8 109/18 111/9 111/9 111/12 112/2 115/17 115/19 120/20 121/6</p> <p>backstop [1] 118/8</p> <p>backwards [2] 31/4 77/7</p> <p>bad [5] 69/21 70/2 70/6 76/18 89/11</p> <p>balance [2] 90/12 92/8</p> <p>banging [1] 74/24</p> <p>barely [1] 5/24</p> <p>base [4] 75/20 86/3 86/6 117/12</p> <p>based [22] 20/22 21/18 29/5 32/3 35/21 36/6 36/8 40/15 41/3 44/12 44/17 46/1 48/19 56/5 58/16 94/12 95/3 99/18 106/14 106/16 107/24 113/17</p> <p>baseload [5] 25/18 25/21 25/23 26/1 117/18</p> <p>baseloaded [4] 52/14 52/15 52/24 93/20</p> <p>basic [2] 109/4 109/19</p> <p>basically [7] 44/8 52/12 58/18 58/20 68/18 78/11 90/15</p> <p>basis [12] 37/13 39/22 39/23 39/24 51/17 53/9 57/15 96/7 97/16 100/8 119/11 122/12</p> <p>Bates [6] 10/19 11/4 11/8 11/9 30/19 31/11</p> <p>BAUMANN [40] 2/4 3/5 5/19 6/3 6/9 6/16 6/18 6/18 6/20 7/1 7/7 9/8 9/11 9/14 9/20 9/22 10/2 15/7 15/13 15/18 16/17 16/21 18/7 20/21 21/1 21/6 21/9 21/11 21/12 21/18 21/21 22/18 23/6 23/17 23/21 24/13 24/24 25/4 25/12 25/14</p> <p>Baumann's [1] 115/7</p> <p>be [173]</p> <p>bear [1] 16/13</p> <p>bearing [1] 107/21</p> <p>because [59] 23/16 24/22 27/20 28/4 28/17 28/22 31/23 35/22 36/9 36/11 36/17</p>	<p>68/19 87/13 88/6 106/8</p> <p>bought [1] 75/6</p> <p>bounded [1] 107/9</p> <p>box [2] 66/20 66/24</p> <p>brain [1] 100/10</p> <p>brand [1] 69/20</p> <p>brand-new [1] 69/20</p> <p>break [2] 71/24 72/4</p> <p>breaker [12] 65/3 65/9 65/10 65/19 65/21 65/23 65/23 66/2 66/4 66/13 66/16 78/7</p> <p>breaker...Dusting [1] 65/7</p> <p>breakers [2] 65/1 65/20</p> <p>breaking [1] 49/18</p> <p>brief [3] 6/2 16/7 72/2</p> <p>briefly [3] 13/8 16/18 19/17</p> <p>bring [3] 36/13 89/21 99/15</p> <p>bringing [1] 79/2</p> <p>broader [1] 40/1</p> <p>build [1] 102/2</p> <p>built [3] 25/21 80/3 80/13</p> <p>bulbs [1] 75/15</p> <p>burden [1] 24/22</p> <p>burn [2] 27/3 35/20</p> <p>burner [1] 79/5</p> <p>burners [1] 79/7</p> <p>burning [1] 32/19</p> <p>bushings [1] 75/16</p> <p>business [1] 87/4</p> <p>but [117] 11/5 16/12 22/19 23/1 24/10 24/17 25/24 26/7 28/16 30/19 32/16 34/23 36/17 36/20 37/11 38/12 38/23 40/4 43/10 43/12 43/18 45/4 46/14 47/8 47/9 48/3 48/21 49/1 49/20 50/4 50/11 50/16 50/20 52/21 53/9 55/8 58/5 58/9 59/4 60/14 60/20 61/20 64/7 65/6 65/14 65/24 66/20 68/13 70/6 71/4 71/6 71/17 73/6 73/19 76/4 76/9 76/12 77/20 78/6 78/20 79/14 79/21 80/9 81/1 81/8 81/19 85/3 85/14 86/22 87/2 87/16 88/8 88/19 89/5 89/17 89/24 91/2 91/14 91/20 92/5 92/22 93/6 93/14 94/21 95/8 95/17 95/24 97/2 97/9 97/20 98/7 98/14 98/18 99/2 99/13 101/10 102/3 103/1 103/4 103/18 104/3 104/5 104/23 105/1 105/9 105/13 107/17 110/12 111/18 112/1 113/5 113/20 117/20 118/2 118/10 118/13 120/11</p> <p>button [3] 80/23 80/23 81/5</p> <p>buy [4] 35/22 36/9 37/8 61/9</p> <p>buying [5] 51/24 63/10 64/9 70/22 71/1</p> <p>buys [1] 60/23</p>	<p><b>C</b></p> <p>cabinet [6] 74/8 74/13 74/18 74/23 75/19 77/22</p> <p>cabinets [1] 76/11</p> <p>calculated [1] 34/22</p> <p>calculating [1] 31/21</p> <p>calculation [2] 29/21 118/18</p> <p>calculations [1] 7/3</p> <p>calendar [9] 4/4 4/8 4/13 46/7 46/8 119/12 119/12 121/3 121/5</p> <p>call [4] 45/6 94/7 96/20 105/14</p> <p>called [2] 62/5 105/8</p> <p>came [7] 64/15 77/7 84/23 86/14 92/1 98/18 101/17</p> <p>can [56] 13/7 13/23 16/7 16/8 16/11 23/9 26/8 26/18 27/3 27/20 28/11 28/16 29/21 30/4 31/4 31/6 34/14 34/22 35/14 35/19 36/8 40/15 42/10 54/13 54/16 59/21 59/24 60/17 67/3 70/8 71/19 73/1 73/6 73/6 73/19 76/5 76/7 89/8 91/22 92/23 96/20 97/3 98/13 99/2 100/9 101/4 102/10 103/9 104/2 107/22 112/8 113/14 113/20 113/20 113/22 116/7</p> <p>can't [3] 25/2 102/8 106/12</p>

<p><b>C</b></p> <p>candidate [1] 117/15  CANNATA [145]  Cannata's [4] 63/8 64/18 72/14 92/14  cannot [2] 81/11 102/6  CAP [1] 74/10  capability [5] 28/18 29/6 55/24 56/3 88/10  capable [3] 88/11 88/17 101/6  capacity [53] 4/12 17/6 27/10 27/12 27/13  27/18 28/1 28/8 28/19 28/23 29/1 30/2 30/5  30/10 32/5 32/6 33/14 33/20 33/21 33/23  38/21 38/24 39/12 39/12 40/7 41/6 41/19  43/6 43/11 43/14 43/18 43/19 43/24 46/3  46/8 52/7 52/9 52/13 52/17 52/18 53/12  53/23 54/15 55/21 57/3 59/14 59/16 59/17  59/22 117/22 118/6 118/19 121/14  capital [3] 41/8 112/3 121/15  car [3] 69/21 70/9 71/11  carried [2] 20/5 20/5  carriers [1] 41/4  carry [2] 117/9 118/4  carrying [4] 24/16 117/6 118/19 118/24  case [22] 22/16 46/15 51/13 51/19 58/1  69/7 81/11 86/3 86/7 88/8 89/5 98/17 99/7  102/19 110/17 111/5 111/21 115/11 118/22  121/2 122/13 122/19  cases [4] 44/22 90/22 115/12 120/4  casing [1] 76/1  caught [1] 65/23  cause [5] 37/15 82/6 83/15 83/22 102/7  caused [9] 65/3 65/16 66/13 66/22 67/14  69/4 78/7 81/6 86/16  causes [1] 83/13  causing [7] 41/5 51/22 74/14 83/21 85/8  107/18 116/9  caverns [1] 57/21  cellphone [1] 116/8  cents [2] 21/15 42/14  certain [6] 28/20 31/21 96/15 107/14  122/8 122/10  certainly [6] 16/15 24/14 24/15 24/18 93/4  95/15  chair [2] 5/23 15/2  Chairman [4] 1/10 2/12 14/16 114/20  Chamberlin [8] 1/16 2/9 2/16 4/22 20/14  34/15 38/7 116/24  chance [4] 51/3 65/6 108/21 110/7  change [14] 50/9 50/21 62/8 75/2 75/23  78/11 79/18 84/21 88/22 93/20 98/8 106/16  106/17 109/23  change-out [1] 106/16  changed [10] 62/24 63/3 78/16 79/6 80/19  81/15 83/7 85/1 85/19 107/22  changes [17] 12/6 12/11 43/10 82/19  82/19 82/20 85/6 85/17 86/1 86/5 91/8 91/9  94/6 103/21 103/22 110/1 122/11  changing [1] 99/5  characteristic [1] 31/21  Charge [2] 4/7 4/8  charges [2] 4/10 24/16  chart [3] 53/21 59/13 59/13  charts [1] 59/15  cheaper [1] 44/23  cheapest [1] 102/11  check [8] 21/3 21/4 27/20 75/17 77/13  111/2 111/9 113/8  checking [1] 112/2  choice [2] 38/10 108/6  choices [1] 40/11  chosen [2] 23/10 118/3  circuit [2] 84/17 84/18  circumstances [1] 122/12  claim [1] 73/19  claimed [2] 55/24 56/2</p>	<p>claims [1] 121/11  clarification [1] 31/10  clarified [1] 79/15  clarify [1] 62/13  clarifying [1] 49/4  clause [1] 87/5  clean [2] 46/13 65/20  cleaning [3] 65/2 65/13 66/4  clear [15] 44/17 55/6 61/3 63/4 65/11  79/14 90/11 90/23 96/3 97/6 98/12 103/5  103/9 104/20 108/10  clearer [1] 53/15  clearly [3] 76/13 92/14 92/22  clears [1] 44/16  clerk [2] 1/13 14/10  climb [2] 41/9 41/15  close [2] 76/7 81/4  closed [2] 20/3 50/14  closely [1] 22/13  closer [4] 70/8 70/15 70/24 113/6  closest [1] 22/10  closing [3] 2/15 50/15 117/1  closings [2] 116/6 116/19  Cmsr [2] 2/10 2/11  Co [1] 1/14  coal [6] 25/8 25/17 25/18 26/7 33/7 58/17  coincidence [1] 33/2  cold [3] 36/3 44/23 96/14  collapse [1] 63/1  colleagues [2] 17/1 17/24  collect [2] 24/11 117/3  collected [1] 117/13  collecting [1] 117/6  column [7] 11/16 11/18 54/17 56/14 56/22  59/23 59/24  columns [1] 58/15  combination [1] 64/8  combined [4] 12/16 45/6 45/10 45/22  come [21] 24/11 45/17 49/19 61/12 68/18  70/8 73/2 73/6 73/14 76/18 77/12 85/9  85/11 85/24 91/7 94/11 99/16 106/19  115/24 117/10 118/14  comes [3] 53/2 61/1 84/8  comfortable [1] 112/7  coming [3] 73/19 115/17 115/18  comment [9] 18/8 40/18 73/6 88/5 93/18  108/22 110/7 110/16 120/2  comments [1] 43/20  commercial [1] 29/10  COMMISSION [37] 1/2 5/2 7/6 7/20 8/12  8/21 9/3 18/3 23/10 24/3 24/7 38/19 42/5  42/8 63/5 88/14 90/15 92/20 93/3 93/7  94/20 95/15 105/6 105/19 115/3 115/8  117/5 118/2 118/22 120/8 120/13 120/22  121/7 121/10 121/18 122/4 122/18  Commission's [4] 111/4 111/24 119/24  120/20  Commissioner [15] 1/11 1/11 43/1 52/20  56/3 60/8 65/18 68/9 72/11 72/19 75/24  90/8 97/22 105/22 110/14  Commissioners [2] 13/4 16/6  commitment [5] 97/4 97/10 97/13 97/19  104/5  committed [4] 96/6 96/10 98/14 98/18  committing [1] 113/15  common [1] 108/17  communicate [1] 97/7  communication [2] 85/14 97/4  communications [1] 98/11  company [20] 1/7 4/19 5/18 5/20 6/21  6/22 7/4 7/12 7/18 8/4 10/15 14/23 18/3  18/16 23/23 90/14 94/3 102/16 103/8  119/21  Company's [3] 8/9 15/4 19/14  compare [1] 121/4</p>	<p>compared [9] 21/5 22/9 30/8 30/11 30/16  45/21 90/13 111/1 112/23  comparing [2] 34/20 71/9  compatibility [2] 110/1 110/5  compatible [2] 83/1 85/7  compensation [2] 86/20 87/3  competent [1] 103/9  competitive [1] 29/11  compiled [1] 56/17  complete [4] 12/20 20/1 20/7 112/19  completed [3] 6/16 19/10 19/23  completely [1] 85/13  complex [2] 98/24 103/18  computer [1] 116/8  computers [1] 84/3  concept [1] 34/23  concern [2] 81/7 118/5  concerned [3] 83/20 113/24 114/2  concerns [2] 39/14 120/12  concert [3] 49/5 50/6 97/15  conclude [1] 60/5  concluded [3] 52/8 72/23 122/6  concludes [3] 78/11 82/13 114/6  conclusion [1] 18/14  conclusions [1] 119/19  Concord [1] 1/4  condenser [1] 48/19  condition [3] 96/14 96/17 96/23  conditions [3] 36/6 108/12 110/19  conduct [3] 19/5 19/5 67/6  conducted [5] 18/9 33/15 33/16 119/11  119/18  confess [1] 96/1  configured [1] 78/9  confirming [1] 109/16  confused [1] 73/3  connect [1] 77/18  Connecticut [1] 95/3  connection [3] 8/23 19/19 110/4  connections [3] 77/14 77/19 110/2  consequences [1] 66/9  conservative [3] 80/3 80/5 80/13  conservative-than-necessary [2] 80/3  80/13  consider [7] 24/15 24/21 66/17 68/1 91/13  97/20 104/15  consideration [1] 24/13  considered [5] 47/5 75/3 77/17 121/20  121/22  consistent [7] 40/23 40/24 41/21 42/3  92/20 105/18 114/23  consists [1] 13/21  consultant [6] 5/4 111/4 111/24 119/18  122/3 122/6  consultation [1] 104/10  Consumer [3] 1/16 1/17 4/22  consumption [2] 37/18 37/18  contain [1] 107/16  contained [1] 123/1  contents [1] 105/5  context [4] 90/17 92/7 121/21 121/22  contingencies [1] 101/7  contingency [1] 100/23  continually [1] 94/9  continue [4] 19/9 19/23 71/20 72/10  continued [5] 17/10 41/9 54/24 73/11  111/8  continues [2] 41/12 49/14  continuously [1] 50/5  contractor [3] 65/16 68/24 87/4  contractors [1] 50/2  contracts [8] 61/16 61/18 61/22 62/1 62/4  62/5 62/5 62/16  contractual [2] 8/21 97/10  contradiction [1] 66/21</p>
--	---	--

<p><b>C</b></p> <p>contributed [1] 63/3  contributes [1] 64/13  control [3] 23/1 82/24 85/6  controller [5] 81/22 83/4 84/22 85/7 85/24  controls [1] 84/3  conversations [1] 57/17  conversion [3] 33/1 40/19 78/8  converted [1] 32/23  cooler [1] 48/18  coordinate [1] 34/23  copies [1] 14/9  correct [53] 9/1 9/2 13/22 14/5 15/13  22/17 25/4 26/6 26/14 26/22 27/2 27/6 27/7  27/9 27/16 27/20 28/3 29/11 29/12 29/14  30/2 32/18 32/20 34/7 40/7 42/12 42/13  43/20 44/15 44/18 44/19 44/24 45/1 45/5  45/12 55/13 57/10 58/4 58/11 59/2 69/6  69/23 78/2 80/24 84/13 85/1 98/16 101/24  105/2 105/20 106/18 108/9 115/1  corrected [3] 86/9 99/2 105/2  correction [1] 11/1  corrections [5] 9/20 10/3 10/9 11/3 14/1  correctly [1] 69/5  cost [54] 4/8 10/23 21/2 21/15 24/22 24/24  25/1 26/11 35/20 40/2 41/22 42/1 42/9  43/19 43/24 44/12 44/13 44/20 44/21 50/7  51/10 51/16 52/11 60/15 60/21 60/22 61/2  61/20 63/8 63/10 63/15 64/10 65/13 67/16  68/12 71/6 87/7 89/24 90/14 91/3 91/12  91/14 91/17 91/24 92/2 103/15 105/5 105/8  114/21 114/23 120/4 121/1 121/11 121/21  cost/benefit [2] 90/14 91/24  costs [52] 1/8 3/4 4/4 4/7 11/2 12/2 12/2  17/9 17/15 18/18 18/20 20/23 21/18 21/22  21/24 21/24 22/5 22/7 22/13 22/19 23/1  23/5 23/7 26/24 51/22 57/15 66/18 68/2  86/20 87/9 98/24 117/5 117/6 117/9 118/4  118/10 118/15 118/19 118/24 119/1 119/1  119/3 119/13 119/14 119/20 119/21 121/15  121/17 121/20 122/8 122/9 122/16  could [39] 5/24 6/17 7/8 7/22 22/14 28/14  30/9 30/12 43/17 45/24 47/11 47/14 49/22  53/20 55/6 59/11 62/13 75/13 86/23 89/4  89/16 89/19 92/12 93/18 93/24 96/23 97/4  97/11 97/15 99/11 100/11 108/16 108/18  111/12 111/13 111/16 113/1 114/17 117/22  counsel [1] 81/9  counseled [5] 80/8 80/9 81/3 81/7 81/16  counting [1] 27/23  country [1] 63/1  couple [6] 16/24 41/16 68/15 87/14 95/20  106/7  coupled [1] 64/2  course [4] 14/18 31/24 43/17 112/5  Court [5] 1/23 6/6 31/8 54/23 73/10  covered [1] 71/19  covers [1] 4/9  crack [1] 70/16  cranked [1] 62/2  crashed [1] 88/19  credit [4] 27/24 28/1 44/5 121/6  credits [2] 58/17 98/24  crept [1] 113/7  criteria [5] 100/7 100/21 102/4 102/5  102/11  critical [1] 88/18  cross [3] 2/9 19/14 20/17  Cross-examination [2] 2/9 20/17  current [2] 40/7 52/21  Currently [1] 105/12  curve [4] 32/7 34/8 80/3 80/13  customer [2] 35/23 42/16  customers [37] 24/23 26/19 29/9 29/10</p>	<p>36/12 37/7 38/20 38/23 38/24 39/6 39/21  40/6 49/7 51/15 51/22 51/23 60/23 61/2  62/1 63/21 73/14 73/19 79/9 89/22 89/24  93/12 93/16 94/19 98/3 98/5 117/4 117/6  117/11 117/21 118/16 121/12 122/9  customers' [1] 112/1  cut [3] 21/17 68/7 81/4  cut-and-dry [1] 68/7  cut-off [1] 21/17  cycle [4] 45/7 45/10 45/22 48/21</p> <p><b>D</b></p> <p>daily [7] 37/9 37/12 37/21 39/22 39/23  39/24 40/8  dark [1] 31/18  data [11] 34/10 53/14 56/17 56/22 59/7  59/20 60/7 60/8 63/13 98/23 99/6  database [2] 99/1 99/9  date [4] 25/22 50/11 54/18 100/20  dated [1] 13/19  day [15] 35/21 36/2 36/2 36/2 36/3 37/1  37/17 37/20 40/17 44/8 44/9 44/13 44/13  44/16 44/23  day-ahead [2] 44/9 44/16  day-to-day [1] 44/13  days [8] 41/11 48/9 51/18 81/23 89/3  89/16 89/17 96/22  DCS [1] 82/21  DE [2] 1/6 4/3  dead [1] 49/11  dealing [3] 43/7 69/13 89/1  deals [1] 101/10  debating [2] 111/2 111/22  December [10] 15/11 16/20 29/22 29/23  33/1 53/5 55/2 56/20 59/19 122/5  December 10 [2] 53/5 55/2  December 1st [1] 33/1  December 2012 [1] 29/22  December 26 [2] 15/11 16/20  December 26th [1] 122/5  decide [1] 104/16  decided [2] 66/11 78/23  decision [4] 37/1 38/13 47/11 104/15  decision-making [1] 38/13  decisions [8] 17/5 18/23 47/2 93/8 104/14  105/4 105/17 118/10  decrease [2] 63/15 63/20  decreased [4] 13/4 60/15 63/11 64/6  decreases [1] 12/1  deemed [1] 18/15  default [4] 83/2 117/3 118/16 119/15  defer [5] 17/24 21/9 25/12 49/16 86/22  define [1] 55/6  defined [3] 23/17 119/1 122/3  definition [1] 76/21  degree [1] 27/15  delayed [2] 24/11 80/7  delivery [2] 62/23 63/22  demand [8] 36/11 49/10 49/12 49/13  49/21 50/19 57/20 82/17  demonstrate [1] 112/8  demonstrated [1] 38/21  demonstrates [1] 93/10  Deno [1] 1/13  Department [1] 8/8  dependency [1] 48/4  depicting [1] 34/16  DES [1] 95/10  describe [2] 26/1 100/9  described [5] 12/24 14/13 16/1 98/17  120/22  describing [1] 25/17  description [3] 20/9 20/11 25/19  design [19] 43/10 43/16 74/22 75/2 76/13  76/14 76/18 80/11 100/6 100/7 100/21</p>	<p>101/6 101/9 101/24 102/5 102/11 104/9  108/4 109/23  designed [2] 48/23 100/23  designing [2] 101/3 101/7  detail [6] 16/11 18/12 94/21 94/22 110/22  123/1  detailed [1] 92/23  details [3] 22/3 68/3 94/5  detect [3] 75/21 77/19 109/3  determination [2] 39/20 62/7  determinations [1] 103/16  determine [14] 19/22 35/20 35/24 36/6  50/6 68/1 78/24 79/11 94/20 103/12 110/19  118/18 119/13 121/9  determined [5] 28/16 30/14 62/20 111/3  111/8  determines [3] 37/2 40/16 121/11  developed [2] 10/17 104/10  development [1] 91/19  dialogue [1] 111/18  dictate [1] 37/19  did [36] 5/6 9/9 13/14 13/16 14/20 14/24  15/4 15/7 20/8 24/3 24/7 45/3 47/4 49/21  54/10 57/22 66/4 67/4 67/5 67/6 67/8 69/23  70/18 71/13 76/22 76/24 77/15 83/18 84/12  85/21 91/24 92/8 93/23 93/24 113/4 122/7  didn't [10] 24/22 32/16 37/14 47/20 70/13  77/18 88/10 92/4 98/2 114/2  difference [3] 30/4 60/1 60/19  differences [2] 25/7 60/3  different [15] 24/17 30/2 33/19 34/15  37/15 45/11 52/4 75/15 79/4 85/2 85/3  93/15 103/2 112/22 113/1  difficult [3] 69/22 72/23 73/5  dinged [2] 98/2 98/20  dip [1] 46/21  Dir. [1] 1/19  Dir./Electric [1] 1/19  direct [8] 2/7 2/8 3/7 6/13 10/18 13/18  19/13 104/3  direction [1] 9/13  directly [2] 39/6 117/10  Director [2] 5/3 7/1  disallow [1] 118/21  disconnected [1] 84/17  discount [1] 27/10  discuss [3] 18/1 41/17 104/3  discussed [4] 25/23 58/17 62/17 87/3  discussing [3] 43/5 59/15 59/20  discussion [12] 6/2 17/8 44/6 45/4 47/11  54/2 72/2 83/6 91/19 111/4 111/7 114/20  discussions [6] 15/5 15/10 87/1 103/6  103/7 111/1  dispatch [5] 57/6 58/2 58/6 58/9 60/5  dispatched [5] 27/8 35/16 36/1 44/24 48/9  Div [1] 1/19  diverted [1] 89/6  Division [1] 5/3  do [90] 10/14 13/19 13/20 14/1 14/3 21/3  21/16 23/10 23/13 23/15 29/19 32/23 37/20  37/23 38/22 39/22 39/24 40/22 42/14 43/5  49/15 49/20 51/9 51/14 51/16 51/17 61/1  61/15 65/24 67/7 71/4 72/21 72/24 73/5  74/3 76/16 76/22 77/18 80/20 84/5 84/5  86/22 87/4 87/19 90/15 90/21 91/2 91/13  91/16 92/15 92/16 93/10 93/11 93/13 93/24  94/14 94/16 95/5 95/16 98/12 99/21 101/5  101/16 102/1 102/9 102/9 102/10 102/20  103/19 104/1 104/15 104/16 104/16 104/17  104/18 107/9 110/12 111/9 112/10 112/12  113/5 113/8 113/14 116/6 116/14 116/19  118/4 118/10 120/14 120/15  docket [24] 4/3 8/24 9/10 9/17 13/15 14/21  15/6 18/5 21/21 37/23 38/4 38/5 40/2 41/13  52/11 61/22 119/11 119/23 120/10 120/10</p>
--	---	---

<p><b>D</b></p> <p>docket... [4] 120/21 121/22 121/23 122/21  docket's [1] 99/18  dockets [3] 19/22 20/2 62/17  document [13] 12/24 13/17 13/19 14/13  16/1 30/20 37/22 41/24 42/3 42/4 42/6 42/7  88/6  documentation [1] 109/11  documents [2] 18/13 96/13  does [19] 34/13 35/16 45/17 46/4 51/15  52/22 55/9 55/18 56/15 60/20 63/18 63/18  69/17 70/15 80/21 85/24 98/8 98/8 117/10  doesn't [13] 12/4 26/15 28/2 36/14 43/12  44/17 52/12 74/19 74/19 77/24 98/7 101/11  107/16  dog [1] 17/20  doing [10] 39/15 39/15 39/16 50/5 50/17  65/2 66/7 67/19 90/1 94/6  dollars [1] 18/17  don't [54] 5/16 6/1 11/4 13/10 16/21 28/12  28/14 28/21 39/17 40/8 43/9 48/22 50/10  57/20 57/23 66/19 67/22 70/17 71/2 71/4  77/20 79/18 80/8 83/11 83/13 83/14 85/13  85/17 86/7 87/11 87/16 87/17 88/7 88/17  91/10 91/17 93/23 94/6 96/1 96/8 97/1 99/1  99/2 99/4 99/7 104/1 108/13 110/12 110/13  110/15 113/5 113/11 114/8 116/22  done [31] 18/11 20/1 24/14 28/12 40/1  41/3 56/6 70/3 70/4 71/18 76/14 79/11  84/11 85/16 85/16 85/17 87/8 89/16 89/17  100/20 102/17 104/6 108/20 110/21 110/21  111/7 111/10 112/4 112/8 112/10 118/22  door [10] 74/8 74/9 74/13 74/23 74/24  75/1 75/13 75/19 76/7 78/1  double [5] 51/18 111/2 111/9 112/2 113/8  double-check [3] 111/2 111/9 113/8  double-checking [1] 112/2  down [30] 6/15 32/15 32/15 33/5 33/21  34/1 34/6 35/12 38/1 40/9 40/20 41/20  43/15 49/22 49/22 50/16 52/17 64/10 66/19  69/19 69/24 77/9 82/4 82/8 82/13 86/9 95/2  108/23 109/24 111/16  draft [5] 80/17 80/22 81/24 82/3 82/8  dragged [1] 70/2  dramatically [1] 62/24  drive [1] 70/12  driven [1] 44/21  driver [1] 57/15  driving [1] 43/18  drop [3] 32/14 33/4 34/5  dropped [1] 62/3  drops [3] 33/5 33/19 57/22  drove [1] 64/2  dry [1] 68/7  due [8] 22/19 36/11 40/21 41/2 48/3 62/24  100/17 106/21  duly [1] 6/5  duration [1] 41/11  during [31] 4/13 12/6 17/3 17/16 23/7 23/7  29/2 29/15 31/24 42/2 48/17 49/8 49/21  50/4 50/14 50/18 51/10 52/11 55/5 62/9  75/10 78/8 78/13 80/2 81/23 82/22 84/21  85/23 86/15 86/15 107/22  dusting [3] 65/5 65/21 66/13  duty [2] 25/20 25/23  dynamic [2] 36/9 37/12  dynamics [1] 100/18</p>	<p>easily [1] 117/2  easy [1] 36/8  Eckberg [2] 1/17 4/23  economic [17] 32/17 37/24 53/2 54/13  56/12 57/16 58/2 58/6 58/9 58/18 60/5 63/1  64/8 100/8 101/4 102/9 117/7  economical [3] 57/6 58/3 90/24  economically [1] 36/23  economics [3] 35/17 55/9 58/18  edits [3] 10/11 10/14 10/20  effect [1] 22/20  effects [1] 101/8  efficiencies [1] 90/14  efficiency [3] 45/13 48/18 48/20  efficient [3] 45/9 45/19 45/20  effort [5] 18/20 19/6 89/21 98/4 111/24  efforts [4] 96/7 97/9 97/16 112/6  eight [2] 45/16 97/23  eight-hour [1] 97/23  either [10] 27/3 39/21 44/16 45/14 64/5  80/11 84/11 101/23 117/23 121/6  electric [6] 1/19 5/3 21/24 47/23 47/24  48/5  electrical [3] 68/24 101/22 103/11  element [1] 100/16  elicit [1] 38/6  eliminate [2] 41/4 65/8  else [4] 20/8 23/16 93/2 116/19  Emerson [13] 81/22 82/14 82/21 82/23  83/2 84/22 85/5 85/14 85/24 86/14 86/21  86/24 87/2  Emerson's [1] 85/6  Emerson...and [1] 83/6  employed [9] 6/19 6/20 7/11 7/12 8/2 8/3  8/19 8/20 92/19  employee [3] 47/12 65/16 97/18  employees [2] 51/20 109/15  enact [1] 91/6  end [6] 11/6 46/5 81/4 94/16 102/21  108/22  ended [2] 62/5 123/3  ends [1] 95/8  energy [39] 1/7 3/4 4/4 4/7 4/10 4/12 8/7  11/1 17/2 17/3 20/22 26/19 27/11 29/3  36/11 37/9 38/23 39/21 40/16 41/20 52/8  60/15 60/18 60/22 60/23 60/23 60/24 61/4  61/8 63/9 63/16 64/10 93/21 117/4 117/12  117/12 120/6 121/17 121/23  enforced [1] 97/11  engagement [1] 8/23  engineering [1] 41/2  engineers [3] 110/22 110/23 110/24  England [16] 27/8 27/18 36/13 36/14  37/19 39/2 39/4 39/10 40/16 44/18 50/10  90/23 91/10 96/13 97/7 98/8  England's [1] 88/16  enhance [2] 19/7 48/15  enhancement [1] 112/14  enjoy [1] 95/14  enough [5] 65/24 84/7 84/10 90/3 94/13  ensued [2] 6/2 72/3  ensure [1] 85/16  enter [3] 12/15 15/21 111/19  entered [5] 4/15 5/7 61/17 62/22 110/11  entire [3] 22/22 88/18 101/23  entitled [2] 17/13 31/6  entry [1] 11/17  environmental [1] 95/1  EPA [1] 95/9  equipment [6] 49/16 71/18 96/18 104/18  110/23 119/6  erratically [3] 82/1 82/3 82/8  error [3] 81/1 111/14 111/20  ES [6] 26/18 27/14 29/23 55/3 59/19 63/21  especially [1] 59/4</p>	<p>Esq [3] 1/15 1/16 1/19  essentially [3] 23/19 36/17 117/19  establish [3] 66/10 67/11 69/15  estimate [1] 59/5  estimated [1] 121/4  etcetera [2] 53/12 104/19  evaluate [1] 94/1  even [14] 23/4 28/21 28/24 29/2 38/21  48/1 50/22 53/15 75/13 81/9 84/23 84/23  99/24 115/24  event [1] 119/2  events [1] 68/22  ever [3] 22/10 111/11 112/2  every [7] 37/17 37/20 37/20 68/8 95/6  99/20 110/17  everybody's [1] 55/6  everyone [1] 10/18  everyone's [1] 122/24  everything [2] 98/13 99/8  evidence [2] 5/12 117/14  exact [2] 41/18 50/11  exactly [8] 56/15 60/17 71/3 80/8 84/13  86/23 97/1 112/18  examination [7] 2/7 2/8 2/9 2/13 6/13  20/17 114/15  example [12] 21/3 22/6 36/10 37/3 43/13  49/18 50/10 51/13 56/24 60/19 66/12 77/5  exceeds [1] 92/2  excess [1] 60/24  exclude [1] 33/24  excluded [1] 46/15  excuse [6] 33/8 49/3 61/3 62/7 90/10  105/23  excused [1] 116/5  exhibit [11] 3/3 11/4 12/17 12/23 13/1 14/8  14/14 15/22 16/2 64/18 72/14  Exhibit 2 [2] 64/18 72/14  exhibits [1] 116/16  exist [1] 108/16  existed [3] 47/7 73/3 73/13  existent [1] 66/1  existing [1] 40/7  expect [2] 33/9 77/15  expectations [1] 103/8  expected [1] 48/13  expense [2] 10/22 26/10  expenses [4] 4/10 22/9 120/24 121/4  expensive [3] 39/18 61/19 77/9  experience [2] 23/13 70/23  experienced [1] 68/22  experts [1] 25/14  explain [3] 16/18 30/4 35/14  explained [2] 53/8 98/20  explaining [1] 87/15  explanation [2] 16/14 90/4  explanatory [2] 10/16 12/4  explore [1] 16/11  exposure [2] 95/16 95/16  express [1] 115/11  extend [1] 51/11  extended [1] 51/14  extent [3] 19/4 51/20 121/11  external [1] 93/14  extra [2] 87/8 89/21  extreme [1] 77/5  extremely [10] 18/9 22/23 36/22 37/4 37/5  43/14 61/19 77/8 92/10 115/22  eyes [1] 93/15</p>
<p><b>E</b></p> <p>each [12] 15/4 15/16 20/21 28/18 35/19  44/8 53/13 82/11 84/7 95/4 111/16 113/16  earlier [5] 46/23 57/17 85/12 102/3 112/24  ears [1] 93/15  easier [1] 116/23</p>	<p><b>E</b></p> <p>each [12] 15/4 15/16 20/21 28/18 35/19  44/8 53/13 82/11 84/7 95/4 111/16 113/16  earlier [5] 46/23 57/17 85/12 102/3 112/24  ears [1] 93/15  easier [1] 116/23</p>	<p><b>F</b></p> <p>facilities [5] 4/12 19/8 95/4 102/19 103/3  facility [2] 103/3 104/18  fact [23] 27/4 33/13 37/12 41/9 41/15 47/8  48/10 49/14 49/23 51/22 58/3 58/9 65/14  66/2 73/5 73/20 75/1 76/14 97/11 109/22</p>

**F**  
fact... [3] 111/7 112/1 112/7  
factor [24] 17/6 28/11 30/2 30/5 30/10  
32/5 32/7 33/20 33/22 33/23 41/6 43/11  
43/14 43/17 43/18 43/19 43/24 46/3 46/9  
52/9 53/13 59/17 59/17 59/22  
factored [1] 36/24  
factors [12] 29/8 33/14 38/21 40/7 43/6  
43/6 52/17 52/18 53/23 54/15 59/14 121/20  
failed [1] 106/17  
failure [5] 107/12 107/15 107/17 108/18  
110/19  
failures [1] 108/16  
fair [10] 20/24 25/15 26/1 36/16 38/15 90/3  
92/10 94/13 99/22 107/17  
fairly [2] 32/13 118/17  
fall [6] 49/13 50/4 51/7 56/18 98/3 105/11  
familiar [4] 15/16 27/4 102/16 104/2  
familiarity [1] 104/3  
fans [3] 80/18 80/20 80/22  
fast [2] 96/20 96/24  
fault [4] 100/15 100/15 100/16 101/19  
faults [1] 101/18  
FBW [2] 11/4 11/5  
FBW-3 [2] 11/4 11/5  
federal [1] 44/5  
feel [6] 23/9 92/16 94/14 111/15 111/20  
113/18  
fell [1] 62/11  
felt [4] 74/20 81/8 108/12 111/19  
few [19] 11/5 18/17 20/4 20/15 20/20  
23/22 37/3 48/9 49/19 50/18 52/3 64/14  
71/21 81/23 95/11 96/22 102/2 112/23  
114/12  
fewest [1] 117/16  
field [1] 102/12  
fifth [1] 79/23  
figure [2] 10/22 79/17  
figures [2] 43/24 63/14  
file [4] 9/9 13/14 38/19 96/13  
filed [11] 4/5 7/3 9/17 10/1 10/15 15/11  
16/19 18/5 41/22 105/12 122/5  
filing [16] 3/4 4/9 8/24 10/18 12/20 22/8  
41/18 53/5 55/2 55/3 55/3 56/20 59/19  
104/11 120/24 123/1  
filings [1] 121/3  
fill [1] 57/21  
final [2] 14/17 40/18  
finally [3] 70/1 82/4 82/9  
financial [4] 10/14 10/17 95/16 99/5  
financials [1] 12/4  
find [10] 5/24 69/23 92/14 94/5 95/11  
101/4 108/19 110/10 111/13 112/13  
finding [1] 118/2  
finds [1] 17/4  
fine [5] 12/18 13/9 38/12 111/22 114/13  
firm [2] 35/17 35/23  
first [14] 4/16 12/16 17/2 17/11 54/17  
71/10 76/9 83/10 91/2 95/2 104/8 104/23  
110/4 116/24  
five [8] 40/24 45/21 51/13 62/3 72/5 81/2  
107/23 108/2  
fix [4] 100/21 101/4 102/8 102/10  
fixed [1] 62/10  
flaw [1] 76/13  
fleet [1] 49/5  
flexibility [1] 37/11  
flexible [1] 107/24  
flipping [1] 33/17  
floor [1] 66/15  
flow [1] 63/21  
flows [2] 39/14 98/22  
focus [4] 17/8 43/22 102/18 103/24  
focused [1] 103/23

focusing [1] 61/23  
fold [1] 65/20  
follow [6] 19/4 43/4 55/15 72/15 96/1  
103/14  
following [5] 53/6 57/20 81/19 99/19  
100/3  
forced [2] 80/17 99/12  
forecast [8] 20/22 22/2 22/4 22/12 22/23  
22/24 23/6 56/18  
forecasts [1] 121/19  
forget [1] 88/2  
forgetting [1] 87/9  
forgo [2] 13/5 18/20  
form [2] 67/9 69/15  
formal [1] 97/18  
formalities [1] 6/15  
format [2] 81/22 99/20  
forth [4] 43/7 45/3 45/4 87/8  
forthright [1] 115/22  
forward [12] 20/5 20/6 24/11 29/19 44/12  
44/20 66/16 68/4 72/24 94/14 95/14 122/12  
fossil [7] 4/11 7/17 30/18 31/6 48/11 53/13  
103/3  
Fossum [6] 1/15 2/7 2/18 4/19 114/7  
120/18  
found [16] 17/17 69/1 70/5 74/11 79/5  
80/1 81/21 82/15 82/18 82/20 82/23 84/12  
84/24 99/18 100/5 105/17  
four [9] 32/1 32/3 40/24 89/16 89/17 97/2  
97/8 112/24 113/4  
four-hour [1] 97/8  
four-week [1] 32/1  
fourth [1] 83/18  
FREDERICK [5] 2/5 3/5 6/4 6/11 7/24  
front [2] 13/17 50/12  
fuel [8] 26/10 26/24 35/19 36/5 37/11  
40/15 44/14 56/18  
fuels [1] 62/8  
full [7] 8/16 26/4 69/2 69/3 70/3 70/5  
116/16  
function [1] 76/6  
function...would [1] 65/10  
functional [2] 66/5 70/6  
functionality [1] 71/14  
functionally [2] 69/2 70/4  
functioning [1] 69/11  
furnace [7] 81/24 82/1 82/2 82/3 82/5 82/7  
82/9  
further [8] 16/13 19/7 20/6 20/6 41/15  
78/12 91/18 103/17  
future [7] 17/11 24/15 53/10 83/7 103/17  
118/6 121/23

**G**  
gain [1] 94/19  
gained [1] 26/18  
gas [42] 27/2 35/13 35/13 35/17 35/21  
35/21 35/22 36/9 36/10 36/13 36/14 36/17  
36/20 36/21 37/4 40/11 44/21 44/22 45/4  
45/6 45/7 45/10 45/22 48/4 48/7 53/10  
57/16 57/18 57/20 57/21 60/9 63/2 73/13  
75/23 78/8 78/10 78/20 78/21 79/1 79/3  
79/8 118/8  
general [6] 21/24 25/15 26/7 47/9 93/9  
108/11  
generally [3] 29/15 57/14 86/22  
generate [2] 30/9 55/22  
generated [4] 29/3 30/7 30/10 59/19  
generating [8] 7/18 17/23 18/8 18/11  
26/19 29/1 102/19 104/21  
generation [14] 4/11 7/16 19/3 19/10 21/5  
25/8 27/5 27/12 27/23 41/14 117/7 118/5  
120/5 121/2  
generator [1] 100/23  
generators [3] 100/14 101/1 107/20

get [42] 5/16 6/1 6/15 21/13 25/6 26/8 26/8  
28/1 28/21 33/9 41/18 46/4 50/8 53/16  
56/21 56/23 60/13 65/11 69/14 75/15 77/15  
81/2 85/15 85/17 85/21 91/22 96/8 96/19  
96/20 96/23 97/3 97/9 98/13 99/19 100/24  
102/17 104/5 107/19 108/3 108/10 113/6  
113/16  
gets [7] 21/16 76/3 96/12 98/24 99/1 99/8  
117/13  
getting [3] 64/21 67/10 84/16  
give [9] 5/23 28/14 60/12 89/9 93/9 97/9  
108/21 110/7 113/13  
given [11] 14/9 26/2 30/6 35/21 36/1 37/1  
48/17 51/3 60/2 69/10 96/15  
global [1] 52/22  
go [38] 6/15 31/4 34/24 34/24 36/9 46/17  
48/3 56/5 59/11 59/20 61/15 61/22 64/17  
67/12 68/18 69/22 70/12 70/13 71/24 72/1  
73/2 73/6 73/15 84/10 84/13 84/18 90/13  
93/23 94/4 95/2 96/12 104/24 105/1 111/2  
111/3 111/9 111/9 111/16  
goes [9] 34/1 35/12 74/11 76/21 78/10  
80/6 83/5 92/2 99/9  
going [57] 20/19 20/19 23/12 29/19 32/23  
33/21 38/3 39/18 40/9 40/10 40/20 40/20  
41/1 42/9 43/15 44/12 44/20 48/11 50/13  
51/24 52/3 52/17 53/14 58/12 64/17 64/19  
65/21 68/18 69/13 70/7 71/5 72/15 73/19  
73/20 74/1 78/5 79/19 79/20 79/21 81/19  
83/11 83/13 83/15 88/23 95/5 100/21 102/7  
104/23 109/21 110/3 111/11 112/2 113/23  
116/6 116/8 122/12 122/24  
gone [2] 25/18 49/24  
good [19] 4/18 4/20 4/21 4/24 5/1 18/6  
22/6 43/2 70/17 71/13 88/21 90/9 92/15  
93/11 108/20 109/13 110/9 113/5 115/24  
got [11] 5/23 27/24 31/18 68/17 69/21  
69/24 93/4 98/1 98/2 105/24 116/8  
grab [1] 93/13  
graph [2] 34/10 35/11  
graphs [3] 30/19 31/6 40/19  
grasp [1] 34/21  
gray [1] 12/19  
great [2] 19/4 112/6  
greater [3] 51/20 63/23 64/4  
grid [2] 88/18 88/19  
group [6] 5/5 8/20 72/23 91/6 95/1 95/3  
grow [1] 41/13  
guess [23] 9/8 16/4 19/12 38/2 38/5 45/5  
50/8 50/8 52/5 53/9 60/2 64/15 64/18 66/10  
76/9 79/14 79/17 82/14 94/18 94/19 106/4  
106/15 116/5  
guns [1] 78/10

**H**  
had [46] 14/20 19/21 19/23 23/22 24/1  
24/2 24/5 28/24 37/8 41/5 41/10 46/14  
46/23 46/24 48/2 51/18 61/17 62/24 64/14  
66/7 66/20 73/14 73/19 75/8 75/24 77/5  
78/18 78/19 79/4 80/2 81/6 81/9 84/5 84/18  
84/23 85/11 85/16 86/24 103/21 103/21  
105/3 105/4 112/8 112/9 114/5 114/20  
hadn't [1] 108/20  
half [1] 98/1  
HAMPSHIRE [10] 1/1 1/4 1/7 1/14 4/19  
6/23 7/4 7/13 8/9 39/5  
Hampshire's [2] 117/21 118/11  
hand [3] 59/18 59/23 66/16  
handful [2] 17/16 18/15  
happen [4] 26/24 57/22 83/20 89/4  
happened [8] 25/11 61/11 67/12 68/5 76/8  
76/9 82/7 87/15  
happens [4] 38/13 38/13 44/17 104/12  
hard [7] 65/23 66/19 100/1 110/10 113/3  
113/11 115/24

<p><b>H</b></p> <p>hard-pressed [1] 113/3 harder [1] 101/14 hardware [1] 91/8 harm [2] 99/3 99/16 Harrington [5] 1/11 2/10 43/1 72/11 106/2 has [58] 4/15 18/16 22/3 23/10 24/17 26/15 29/1 29/13 32/1 35/13 35/18 38/22 40/22 40/23 41/8 42/14 43/13 43/23 45/11 48/7 50/9 57/22 61/11 63/3 69/16 70/9 74/3 76/5 80/6 82/10 83/5 83/7 83/20 89/20 93/7 96/2 100/13 100/16 101/13 101/16 102/20 104/21 105/5 105/13 110/21 111/6 111/21 112/24 114/12 115/23 117/24 118/2 118/2 118/3 121/16 122/8 122/10 122/13 hasn't [2] 35/14 35/15 have [151] haven't [2] 28/12 28/12 having [5] 13/5 19/13 43/5 81/18 91/12 he [13] 5/9 5/9 12/7 66/24 67/4 70/10 70/11 70/14 71/12 74/8 86/23 115/8 115/16 hear [3] 92/6 96/4 99/10 hearing [5] 4/3 4/14 5/10 72/8 123/3 heat [4] 45/11 45/12 45/14 96/18 heavier [1] 102/3 held [1] 83/6 help [1] 53/15 helpful [1] 94/13 helps [3] 53/21 54/1 116/11 here [38] 13/23 18/1 22/1 22/11 25/14 44/7 47/23 50/9 53/17 64/22 65/4 65/12 66/20 67/11 69/17 70/9 71/10 74/2 76/14 78/14 79/17 79/20 81/19 82/14 83/10 83/23 84/5 85/3 88/13 90/15 91/12 91/17 95/15 99/2 101/19 106/15 108/22 113/17 here's [1] 96/8 herewith [3] 13/1 14/14 16/2 hey [2] 70/2 77/23 high [20] 23/3 23/12 23/16 24/10 26/18 32/13 34/11 36/10 36/11 36/22 37/4 37/5 43/14 46/20 49/11 49/12 82/1 82/2 82/5 103/24 higher [8] 36/22 43/11 43/24 45/12 47/24 48/5 50/23 51/3 highest [2] 50/19 50/20 his [3] 5/7 12/8 20/11 Historic [1] 34/9 historical [1] 81/1 historically [2] 48/1 59/14 history [1] 109/11 hit [4] 65/23 66/16 80/22 84/4 hits [1] 80/23 home [2] 65/19 70/12 Hooksett [1] 89/20 hot [5] 36/2 96/16 96/23 96/24 97/8 hour [15] 10/21 10/24 21/15 37/20 42/14 54/19 55/16 55/18 55/22 55/23 58/6 79/23 97/8 97/12 97/23 hours [24] 26/5 30/6 30/7 30/9 30/15 30/16 54/14 55/4 55/16 55/18 55/23 56/7 56/7 57/7 58/2 58/10 96/15 96/17 97/2 97/3 97/5 97/24 98/1 117/16 how [17] 4/12 30/11 40/12 45/3 63/18 68/13 72/21 74/6 86/8 90/13 93/7 96/4 103/10 103/19 104/6 113/20 113/24 however [4] 96/19 110/24 112/12 112/21 huge [4] 18/13 63/15 91/12 91/17 huh [1] 86/4 hunted [1] 86/8 hurting [1] 98/5 hydro [2] 4/11 7/17 hydros [1] 102/21</p>	<p>I'll [21] 6/15 10/20 16/24 21/9 21/11 21/13 25/12 26/8 41/2 43/6 53/16 55/19 60/12 61/15 78/3 92/13 93/9 97/1 108/14 108/21 110/16 I'm [76] 6/20 7/1 7/12 8/1 8/3 8/7 13/5 13/13 20/19 25/6 31/16 34/2 34/9 34/21 34/23 35/7 35/13 38/8 38/12 44/7 44/8 45/24 46/4 50/8 50/20 52/3 53/14 54/10 55/15 56/23 58/15 59/8 61/3 64/18 64/20 64/21 64/24 65/18 66/10 67/10 67/24 68/17 70/7 72/15 72/19 73/3 74/20 76/23 78/5 79/20 79/20 81/5 81/18 82/1 83/19 83/24 87/13 87/20 92/19 94/18 95/5 99/11 99/23 104/1 104/2 104/4 104/6 106/10 106/14 107/2 113/3 113/22 113/24 114/19 115/17 115/18 I've [5] 14/9 22/10 25/17 34/19 68/17 idea [3] 64/22 91/3 104/24 identification [9] 12/17 12/23 13/2 14/8 14/15 15/23 16/3 116/14 116/16 identified [3] 19/2 41/5 74/4 identify [2] 88/17 118/20 if [132] Ignatius [3] 1/10 2/12 114/20 Ill [1] 16/23 illegal [1] 106/11 illustrate [1] 38/20 imagine [1] 25/2 immense [1] 84/2 impact [13] 10/14 12/4 21/20 23/3 23/20 24/8 24/19 28/7 29/9 33/11 34/21 42/15 99/12 impacts [2] 23/24 102/22 impedences [1] 101/21 implement [4] 23/13 91/3 101/15 122/10 imply [2] 57/2 92/4 importance [1] 109/16 important [1] 89/7 improper [3] 74/22 76/12 77/19 improve [4] 19/7 93/13 94/10 94/11 improved [2] 48/19 91/15 improvements [3] 43/9 43/15 94/3 improves [1] 48/20 imprudence [2] 18/22 67/2 imprudency [4] 47/3 47/10 81/8 81/12 imprudent [12] 47/2 47/5 66/18 66/23 67/2 67/4 69/8 75/3 76/23 77/18 78/15 84/1 in [436] inadequate [1] 71/16 inadvertent [3] 65/4 65/8 65/15 inadvertently [4] 65/3 66/14 67/23 67/24 inattention [2] 67/20 67/21 inch [1] 76/1 incident [1] 78/16 incidents [1] 78/12 include [6] 8/8 25/18 34/1 101/8 102/1 121/6 included [3] 4/10 61/6 77/16 includes [1] 53/22 including [6] 3/5 3/6 3/8 6/22 12/7 46/17 incompatibility [1] 83/3 incompatible [1] 81/22 inconsistent [1] 94/5 incorporate [4] 100/6 101/5 101/24 102/10 incorrect [7] 47/4 50/16 69/18 80/11 84/15 84/16 107/1 incorrectly [1] 86/8 increase [3] 43/16 43/17 75/22 increased [4] 29/16 89/7 93/21 93/21 increases [1] 65/6 incremental [2] 51/16 113/12 incrementally [1] 48/19 incur [1] 22/24 incurred [7] 21/18 21/23 24/24 119/13</p>	<p>119/21 121/5 121/15 indicated [7] 5/9 34/12 64/5 84/9 103/14 110/14 111/20 indicates [3] 13/17 31/22 110/14 indicating [1] 67/13 indication [7] 47/1 84/8 84/11 84/15 84/16 111/14 113/13 individual [1] 28/18 induced [2] 80/17 80/22 inefficient [1] 70/19 inexpensive [1] 36/17 influx [1] 63/2 information [13] 5/6 10/16 12/3 12/8 18/7 40/3 69/18 89/9 92/24 94/2 103/17 104/14 113/7 inherently [1] 45/9 initiate [1] 113/8 inside [2] 76/3 107/20 inspected [1] 77/3 inspection [6] 32/1 51/12 70/15 76/16 77/16 77/20 inspections [1] 49/8 installation [2] 75/5 104/11 installations [1] 74/16 installed [8] 68/23 71/12 71/15 75/7 77/2 77/7 80/2 81/23 instance [1] 27/24 instant [1] 121/24 instead [1] 66/12 instituted [1] 97/20 insulation [1] 70/16 integrated [2] 40/2 121/21 intend [1] 47/20 intended [1] 46/7 intention [1] 103/24 interest [4] 98/6 104/5 119/24 122/9 interested [1] 38/12 interesting [1] 96/4 interface [2] 110/2 110/4 interjected [1] 69/18 internal [4] 75/22 85/6 95/1 103/22 internally [3] 85/14 93/14 103/6 interpret [1] 97/4 interpreting [1] 95/22 interprets [1] 96/5 Interrogatories [3] 2/10 2/11 2/12 interruption [3] 31/8 54/23 73/10 interruptions [1] 85/18 intervened [2] 5/7 5/8 interviews [1] 18/12 into [34] 4/16 10/12 17/10 18/18 25/9 25/21 26/20 27/12 33/5 36/13 36/24 44/9 53/1 61/17 61/21 62/22 64/3 69/19 69/22 69/24 70/9 80/3 80/14 85/24 92/2 99/1 99/9 100/7 100/10 101/5 102/11 108/1 110/11 111/19 intraday [1] 35/24 investigate [2] 83/21 84/19 investigation [12] 69/1 74/11 80/1 82/5 82/16 82/23 83/15 83/19 94/7 101/18 119/12 119/17 investigations [2] 90/13 93/5 investigative [1] 95/7 investments [1] 41/8 involved [3] 68/6 68/6 104/21 is [315] isn't [8] 36/16 37/24 38/4 43/19 45/5 51/21 68/6 108/3 ISO [20] 27/8 27/18 36/5 39/1 39/4 39/9 40/15 57/15 88/16 88/22 90/23 91/10 96/4 96/13 97/7 98/5 98/6 98/8 98/19 117/20 ISO-New [12] 27/8 27/18 39/1 39/4 39/9 40/15 88/16 90/23 91/10 96/13 97/7 98/8 isolate [1] 100/15 issue [12] 40/1 41/14 74/18 81/15 82/10</p>
<p><b>I</b></p> <p>I'd [4] 4/2 10/11 76/10 120/19</p>		

<p>I</p> <p>issue... [7] 85/3 88/4 91/6 91/12 96/3 101/17 120/14</p> <p>issued [3] 88/11 91/10 120/21</p> <p>issues [11] 17/24 43/4 91/5 103/18 105/1 119/23 120/4 120/5 121/18 122/3 122/19</p> <p>it [332]</p> <p>it's [109] 10/17 11/5 17/21 21/16 21/18 22/10 22/16 23/9 23/19 23/20 25/15 25/20 25/20 26/3 26/14 27/8 28/4 28/19 30/22 30/22 31/20 32/9 32/15 34/4 34/6 34/10 34/11 36/7 36/8 36/18 36/20 36/23 37/12 38/11 39/6 39/13 44/1 45/6 45/22 46/7 52/16 53/16 54/5 54/20 56/2 57/13 58/16 58/16 60/8 62/17 63/21 65/17 66/1 68/13 69/20 70/13 70/17 74/4 75/14 75/21 76/15 76/15 80/24 81/1 81/2 85/2 85/3 87/13 88/7 88/7 88/8 88/16 90/20 91/15 93/5 93/16 94/7 95/3 96/8 96/17 97/2 98/11 99/13 99/14 99/14 100/1 100/10 100/17 101/11 101/14 101/20 101/21 101/22 102/3 103/2 104/2 104/3 107/24 108/4 111/10 111/10 116/22 117/17 117/17 117/18 118/12 118/12 118/13 120/23</p> <p>item [4] 13/7 22/7 62/13 110/17</p> <p>items [1] 16/10</p> <p>iterative [1] 79/2</p> <p>its [35] 4/6 4/7 4/7 4/12 18/4 19/13 25/22 26/24 28/19 29/5 38/22 38/24 38/24 41/11 41/21 43/14 53/5 53/6 55/21 68/24 74/14 75/8 79/17 84/8 85/24 89/24 102/4 110/2 114/23 115/11 121/4 122/6 122/15 122/15 122/15</p> <p>itself [3] 60/20 63/19 74/16</p> <p>IV [1] 119/16</p>	<p>kilowatt-hour [2] 21/15 42/14</p> <p>kind [12] 36/15 43/4 47/22 82/13 88/6 88/12 90/20 106/12 108/12 109/17 109/21 110/10</p> <p>knew [1] 66/6</p> <p>know [51] 13/3 21/23 23/3 23/15 24/1 38/12 38/18 42/14 43/10 57/23 59/16 59/19 64/22 65/19 67/8 67/22 70/15 70/22 71/2 72/17 75/21 75/24 79/13 80/8 81/2 83/11 83/13 83/14 83/22 84/3 85/13 86/7 86/7 87/1 87/17 87/17 93/2 93/4 93/22 95/5 98/23 99/9 101/16 105/3 108/13 112/17 112/17 112/18 112/19 112/20 119/10</p> <p>knowledge [4] 12/13 66/7 69/16 70/21</p> <p>known [1] 106/22</p> <p>kV [2] 100/22 102/5</p>	<p>like [27] 4/2 10/12 14/7 16/6 45/23 49/1 52/14 52/15 56/2 57/19 69/20 76/17 77/15 80/9 80/17 83/17 86/3 86/22 89/20 94/7 97/24 98/14 99/12 108/6 115/6 120/19 122/20</p> <p>likelihood [3] 33/15 35/19 103/2</p> <p>likely [3] 69/13 77/17 102/24</p> <p>Likewise [1] 9/18</p> <p>limit [2] 47/2 47/16</p> <p>limitations [1] 36/12</p> <p>limited [1] 38/23</p> <p>line [29] 10/20 10/21 10/23 11/1 11/21 26/3 26/4 31/18 49/17 49/19 49/20 49/23 50/24 59/13 60/14 64/20 68/20 82/10 93/18 96/12 102/2 102/21 102/22 102/22 102/23 104/19 117/23 117/23 118/6</p> <p>lines [3] 32/22 41/20 60/12</p> <p>lingering [1] 103/18</p> <p>list [1] 74/20</p> <p>listed [1] 87/13</p> <p>little [13] 58/13 59/1 68/12 72/17 73/3 77/4 81/4 81/18 100/1 102/3 105/7 107/8 113/14</p> <p>load [12] 8/9 26/4 26/15 27/13 48/2 51/11 57/12 57/14 61/6 73/1 73/5 100/24</p> <p>load/lower [1] 51/11</p> <p>loading [1] 102/3</p> <p>local [1] 100/7</p> <p>location [1] 89/6</p> <p>locations [1] 100/19</p> <p>locked [1] 61/21</p> <p>logic [14] 80/4 80/5 80/14 80/19 80/19 81/21 82/24 83/3 84/3 84/13 84/22 85/6 85/7 85/19</p> <p>long [11] 58/18 61/16 61/21 62/4 62/10 81/2 82/17 84/10 102/21 103/19 104/7</p> <p>long-term [4] 61/16 61/21 62/4 62/10</p> <p>longer [4] 88/8 88/21 117/18 118/15</p> <p>longest [1] 41/11</p> <p>look [33] 13/23 21/2 24/15 24/17 32/14 35/19 35/23 37/10 38/8 43/12 54/6 59/12 59/20 68/3 68/8 68/10 68/11 68/15 70/23 89/13 89/14 90/19 90/22 93/5 93/7 93/9 95/14 95/24 101/21 104/13 110/5 112/16 114/21</p> <p>looked [1] 77/23</p> <p>looking [19] 21/14 25/5 26/16 27/4 31/14 33/20 34/2 34/8 34/9 34/13 35/11 38/10 72/24 93/23 94/18 99/12 102/14 117/14 120/8</p> <p>looks [3] 45/23 53/10 110/17</p> <p>loss [1] 62/9</p> <p>lost [1] 62/1</p> <p>lot [16] 24/17 44/6 45/3 50/15 63/13 70/24 89/4 92/24 93/5 93/22 94/4 101/15 104/6 108/11 112/4 113/18</p> <p>low [8] 29/16 73/2 73/8 73/12 73/13 73/22 81/4 82/9</p> <p>lower [12] 26/10 32/7 32/7 32/14 35/20 49/10 51/10 51/11 52/2 59/9 64/3 120/6</p> <p>lower-priced [1] 64/3</p> <p>lowest [4] 40/14 50/7 57/12 57/15</p> <p>luck [1] 116/5</p>
<p>J</p> <p>January [3] 1/4 55/20 55/21</p> <p>job [8] 38/11 66/5 66/6 92/14 93/3 93/11 106/1 109/22</p> <p>jolted [1] 74/14</p> <p>JR [6] 2/5 3/8 6/5 6/12 8/18 13/18</p> <p>judge [1] 93/2</p> <p>judgment [1] 120/14</p> <p>July [2] 50/11 53/6</p> <p>jump [1] 72/17</p> <p>jumping [1] 58/5</p> <p>jumps [1] 56/16</p> <p>June [2] 50/11 120/21</p> <p>June 18 [1] 120/21</p> <p>just [113] 6/15 11/5 14/17 16/24 17/14 18/2 18/7 19/17 20/19 20/20 21/16 22/21 23/16 24/1 25/6 25/6 26/7 26/14 28/11 31/9 31/13 32/9 32/16 36/8 37/23 38/11 40/18 43/4 43/5 44/7 45/16 47/13 47/16 47/20 50/20 52/3 52/13 54/8 54/16 54/17 54/21 55/15 55/19 56/23 56/24 59/12 59/15 59/20 61/3 63/4 64/4 64/9 64/19 64/21 64/22 65/11 66/11 66/12 66/24 67/10 67/12 67/13 68/7 68/19 71/12 71/20 72/15 83/11 83/12 84/3 87/9 87/13 87/17 88/3 88/12 89/8 89/12 89/23 90/3 90/11 90/16 93/2 93/23 95/6 97/1 97/23 98/17 99/5 99/17 100/3 101/11 101/20 104/11 105/24 106/4 106/17 107/15 108/10 108/11 108/20 109/13 109/19 114/14 114/20 115/5 115/10 116/7 116/11 116/12 116/22 118/12 118/13 119/22</p>	<p>L</p> <p>labeled [1] 11/16</p> <p>lack [4] 69/3 70/21 70/21 71/7</p> <p>ladder [4] 74/8 74/9 74/13 75/15</p> <p>ladders [4] 74/24 75/1 75/17 76/10</p> <p>lag [2] 82/17 84/7</p> <p>landscape [1] 63/3</p> <p>language [3] 47/21 90/21 90/23</p> <p>large [8] 23/22 24/1 24/5 24/19 48/3 85/10 89/13 112/3</p> <p>larger [2] 88/23 103/4</p> <p>largest [1] 64/7</p> <p>last [22] 5/24 10/24 12/6 17/7 17/19 18/9 30/20 30/23 40/24 43/8 43/22 46/3 49/21 50/11 56/14 87/14 96/22 105/18 114/22 115/7 115/14 115/16</p> <p>lastly [2] 7/22 18/2</p> <p>lately [1] 13/3</p> <p>later [2] 81/24 84/6</p> <p>Laughter [1] 106/3</p> <p>law [1] 107/13</p> <p>LCIRP [1] 121/22</p> <p>LCR [1] 1/23</p> <p>Leader [1] 50/13</p> <p>leading [1] 84/16</p> <p>leads [1] 63/14</p> <p>lean [1] 73/15</p> <p>leaned [1] 67/13</p> <p>leaning [1] 76/10</p> <p>learn [3] 93/13 103/9 111/13</p> <p>learned [2] 104/9 112/22</p> <p>least [12] 40/2 41/22 42/1 42/9 52/11 83/10 100/19 105/5 105/8 114/21 114/23 121/21</p> <p>leave [1] 42/10</p> <p>led [3] 14/22 43/11 64/9</p> <p>left [4] 11/15 18/1 65/5 66/20</p> <p>legacy [2] 62/5 62/16</p> <p>legal [1] 107/12</p> <p>length [1] 51/11</p> <p>lengthen [1] 51/19</p> <p>lengthy [1] 92/23</p> <p>less [7] 20/19 39/18 45/9 64/10 80/5 96/9 105/1</p> <p>let [7] 41/18 64/22 70/7 72/17 77/4 82/15 107/8</p> <p>let's [22] 4/16 5/23 28/6 30/22 43/4 52/3 54/16 55/15 56/24 66/12 68/10 68/15 71/24 77/5 81/17 83/12 83/13 84/18 88/2 88/4 97/2 116/24</p> <p>letter [1] 91/10</p> <p>level [10] 47/24 48/5 75/16 92/16 92/18 94/8 94/15 94/21 94/22 118/14</p> <p>life [3] 25/22 75/19 106/22</p> <p>light [2] 105/4 122/13</p> <p>lighter [1] 32/9</p> <p>lightest [1] 57/13</p> <p>lightly [1] 65/6</p>	<p>lines [3] 32/22 41/20 60/12</p> <p>lingering [1] 103/18</p> <p>list [1] 74/20</p> <p>listed [1] 87/13</p> <p>little [13] 58/13 59/1 68/12 72/17 73/3 77/4 81/4 81/18 100/1 102/3 105/7 107/8 113/14</p> <p>load [12] 8/9 26/4 26/15 27/13 48/2 51/11 57/12 57/14 61/6 73/1 73/5 100/24</p> <p>load/lower [1] 51/11</p> <p>loading [1] 102/3</p> <p>local [1] 100/7</p> <p>location [1] 89/6</p> <p>locations [1] 100/19</p> <p>locked [1] 61/21</p> <p>logic [14] 80/4 80/5 80/14 80/19 80/19 81/21 82/24 83/3 84/3 84/13 84/22 85/6 85/7 85/19</p> <p>long [11] 58/18 61/16 61/21 62/4 62/10 81/2 82/17 84/10 102/21 103/19 104/7</p> <p>long-term [4] 61/16 61/21 62/4 62/10</p> <p>longer [4] 88/8 88/21 117/18 118/15</p> <p>longest [1] 41/11</p> <p>look [33] 13/23 21/2 24/15 24/17 32/14 35/19 35/23 37/10 38/8 43/12 54/6 59/12 59/20 68/3 68/8 68/10 68/11 68/15 70/23 89/13 89/14 90/19 90/22 93/5 93/7 93/9 95/14 95/24 101/21 104/13 110/5 112/16 114/21</p> <p>looked [1] 77/23</p> <p>looking [19] 21/14 25/5 26/16 27/4 31/14 33/20 34/2 34/8 34/9 34/13 35/11 38/10 72/24 93/23 94/18 99/12 102/14 117/14 120/8</p> <p>looks [3] 45/23 53/10 110/17</p> <p>loss [1] 62/9</p> <p>lost [1] 62/1</p> <p>lot [16] 24/17 44/6 45/3 50/15 63/13 70/24 89/4 92/24 93/5 93/22 94/4 101/15 104/6 108/11 112/4 113/18</p> <p>low [8] 29/16 73/2 73/8 73/12 73/13 73/22 81/4 82/9</p> <p>lower [12] 26/10 32/7 32/7 32/14 35/20 49/10 51/10 51/11 52/2 59/9 64/3 120/6</p> <p>lower-priced [1] 64/3</p> <p>lowest [4] 40/14 50/7 57/12 57/15</p> <p>luck [1] 116/5</p>
<p>K</p> <p>keep [3] 86/6 98/23 118/6</p> <p>keeping [3] 119/1 119/4 122/2</p> <p>key [2] 16/13 110/20</p> <p>kilowatt [2] 21/15 42/14</p>	<p>M</p> <p>madam [2] 14/16 15/2</p> <p>made [32] 17/5 18/23 19/21 38/19 41/9 46/23 50/20 62/16 62/18 62/19 63/22 75/8 75/8 78/11 78/12 79/24 81/21 82/20 82/20 82/24 83/4 84/20 86/2 86/6 86/13 88/9 90/12 96/7 105/4 106/11 112/6 116/13</p> <p>main [2] 43/18 62/10</p> <p>mainly [1] 102/20</p> <p>maintenance [11] 17/22 32/1 41/7 49/2 49/7 49/20 50/22 51/7 76/12 119/6 122/11</p> <p>majority [3] 25/22 112/6 117/11</p>	<p>lines [3] 32/22 41/20 60/12</p> <p>lingering [1] 103/18</p> <p>list [1] 74/20</p> <p>listed [1] 87/13</p> <p>little [13] 58/13 59/1 68/12 72/17 73/3 77/4 81/4 81/18 100/1 102/3 105/7 107/8 113/14</p> <p>load [12] 8/9 26/4 26/15 27/13 48/2 51/11 57/12 57/14 61/6 73/1 73/5 100/24</p> <p>load/lower [1] 51/11</p> <p>loading [1] 102/3</p> <p>local [1] 100/7</p> <p>location [1] 89/6</p> <p>locations [1] 100/19</p> <p>locked [1] 61/21</p> <p>logic [14] 80/4 80/5 80/14 80/19 80/19 81/21 82/24 83/3 84/3 84/13 84/22 85/6 85/7 85/19</p> <p>long [11] 58/18 61/16 61/21 62/4 62/10 81/2 82/17 84/10 102/21 103/19 104/7</p> <p>long-term [4] 61/16 61/21 62/4 62/10</p> <p>longer [4] 88/8 88/21 117/18 118/15</p> <p>longest [1] 41/11</p> <p>look [33] 13/23 21/2 24/15 24/17 32/14 35/19 35/23 37/10 38/8 43/12 54/6 59/12 59/20 68/3 68/8 68/10 68/11 68/15 70/23 89/13 89/14 90/19 90/22 93/5 93/7 93/9 95/14 95/24 101/21 104/13 110/5 112/16 114/21</p> <p>looked [1] 77/23</p> <p>looking [19] 21/14 25/5 26/16 27/4 31/14 33/20 34/2 34/8 34/9 34/13 35/11 38/10 72/24 93/23 94/18 99/12 102/14 117/14 120/8</p> <p>looks [3] 45/23 53/10 110/17</p> <p>loss [1] 62/9</p> <p>lost [1] 62/1</p> <p>lot [16] 24/17 44/6 45/3 50/15 63/13 70/24 89/4 92/24 93/5 93/22 94/4 101/15 104/6 108/11 112/4 113/18</p> <p>low [8] 29/16 73/2 73/8 73/12 73/13 73/22 81/4 82/9</p> <p>lower [12] 26/10 32/7 32/7 32/14 35/20 49/10 51/10 51/11 52/2 59/9 64/3 120/6</p> <p>lower-priced [1] 64/3</p> <p>lowest [4] 40/14 50/7 57/12 57/15</p> <p>luck [1] 116/5</p> <p>lines [3] 32/22 41/20 60/12</p> <p>lingering [1] 103/18</p> <p>list [1] 74/20</p> <p>listed [1] 87/13</p> <p>little [13] 58/13 59/1 68/12 72/17 73/3 77/4 81/4 81/18 100/1 102/3 105/7 107/8 113/14</p> <p>load [12] 8/9 26/4 26/15 27/13 48/2 51/11 57/12 57/14 61/6 73/1 73/5 100/24</p> <p>load/lower [1] 51/11</p> <p>loading [1] 102/3</p> <p>local [1] 100/7</p> <p>location [1] 89/6</p> <p>locations [1] 100/19</p> <p>locked [1] 61/21</p> <p>logic [14] 80/4 80/5 80/14 80/19 80/19 81/21 82/24 83/3 84/3 84/13 84/22 85/6 85/7 85/19</p> <p>long [11] 58/18 61/16 61/21 62/4 62/10 81/2 82/17 84/10 102/21 103/19 104/7</p> <p>long-term [4] 61/16 61/21 62/4 62/10</p> <p>longer [4] 88/8 88/21 117/18 118/15</p> <p>longest [1] 41/11</p> <p>look [33] 13/23 21/2 24/15 24/17 32/14 35/19 35/23 37/10 38/8 43/12 54/6 59/12 59/20 68/3 68/8 68/10 68/11 68/15 70/23 89/13 89/14 90/19 90/22 93/5 93/7 93/9 95/14 95/24 101/21 104/13 110/5 112/16 114/21</p> <p>looked [1] 77/23</p> <p>looking [19] 21/14 25/5 26/16 27/4 31/14 33/20 34/2 34/8 34/9 34/13 35/11 38/10 72/24 93/23 94/18 99/12 102/14 117/14 120/8</p> <p>looks [3] 45/23 53/10 110/17</p> <p>loss [1] 62/9</p> <p>lost [1] 62/1</p> <p>lot [16] 24/17 44/6 45/3 50/15 63/13 70/24 89/4 92/24 93/5 93/22 94/4 101/15 104/6 108/11 112/4 113/18</p> <p>low [8] 29/16 73/2 73/8 73/12 73/13 73/22 81/4 82/9</p> <p>lower [12] 26/10 32/7 32/7 32/14 35/20 49/10 51/10 51/11 52/2 59/9 64/3 120/6</p> <p>lower-priced [1] 64/3</p> <p>lowest [4] 40/14 50/7 57/12 57/15</p> <p>luck [1] 116/5</p> <p>lines [3] 32/22 41/20 60/12</p> <p>lingering [1] 103/18</p> <p>list [1] 74/20</p> <p>listed [1] 87/13</p> <p>little [13] 58/13 59/1 68/12 72/17 73/3 77/4 81/4 81/18 100/1 102/3 105/7 107/8 113/14</p> <p>load [12] 8/9 26/4 26/15 27/13 48/2 51/11 57/12 57/14 61/6 73/1 73/5 100/24</p> <p>load/lower [1] 51/11</p> <p>loading [1] 102/3</p> <p>local [1] 100/7</p> <p>location [1] 89/6</p> <p>locations [1] 100/19</p> <p>locked [1] 61/21</p> <p>logic [14] 80/4 80/5 80/14 80/19 80/19 81/21 82/24 83/3 84/3 84/13 84/22 85/6 85/7 85/19</p> <p>long [11] 58/18 61/16 61/21 62/4 62/10 81/2 82/17 84/10 102/21 103/19 104/7</p> <p>long-term [4] 61/16 61/21 62/4 62/10</p> <p>longer [4] 88/8 88/21 117/18 118/15</p> <p>longest [1] 41/11</p> <p>look [33] 13/23 21/2 24/15 24/17 32/14 35/19 35/23 37/10 38/8 43/12 54/6 59/12 59/20 68/3 68/8 68/10 68/11 68/15 70/23 89/13 89/14 90/19 90/22 93/5 93/7 93/9 95/14 95/24 101/21 104/13 110/5 112/16 114/21</p> <p>looked [1] 77/23</p> <p>looking [19] 21/14 25/5 26/16 27/4 31/14 33/20 34/2 34/8 34/9 34/13 35/11 38/10 72/24 93/23 94/18 99/12 102/14 117/14 120/8</p> <p>looks [3] 45/23 53/10 110/17</p> <p>loss [1] 62/9</p> <p>lost [1] 62/1</p> <p>lot [16] 24/17 44/6 45/3 50/15 63/13 70/24 89/4 92/24 93/5 93/22 94/4 101/15 104/6 108/11 112/4 113/18</p> <p>low [8] 29/16 73/2 73/8 73/12 73/13 73/22 81/4 82/9</p> <p>lower [12] 26/10 32/7 32/7 32/14 35/20 49/10 51/10 51/11 52/2 59/9 64/3 120/6</p> <p>lower-priced [1] 64/3</p> <p>lowest [4] 40/14 50/7 57/12 57/15</p> <p>luck [1] 116/5</p>

<p><b>M</b></p> <p>make [44] 22/24 36/4 39/17 39/20 40/12 47/16 49/1 52/13 52/22 53/15 56/20 63/4 64/21 65/11 71/15 71/14 75/8 77/4 77/24 81/11 85/15 86/5 90/11 90/22 93/8 94/3 97/6 97/8 97/14 97/14 98/2 102/8 103/15 104/4 104/15 104/17 104/18 109/20 110/6 113/1 113/7 117/11 118/2 118/3</p> <p>makes [3] 65/13 111/15 113/18</p> <p>making [13] 38/9 38/13 57/23 71/12 94/6 96/3 97/18 102/15 106/14 109/4 109/6 109/23 116/16</p> <p>manage [1] 49/5</p> <p>management [15] 17/5 18/10 18/22 19/7 47/2 47/3 47/11 47/17 50/21 67/3 67/3 67/5 67/6 67/9 68/4</p> <p>management's [1] 67/8</p> <p>Manchester [1] 101/20</p> <p>manifest [2] 60/20 63/19</p> <p>manner [3] 66/22 120/15 120/16</p> <p>manpower [1] 89/6</p> <p>manual [1] 85/16</p> <p>manually [1] 83/4</p> <p>manufacturer [3] 69/15 70/5 77/6</p> <p>manufacturer's [2] 70/3 71/1</p> <p>manufacturers [1] 76/23</p> <p>many [9] 18/12 22/11 23/11 61/16 71/23 86/8 90/22 115/12 120/4</p> <p>March [1] 114/24</p> <p>mark [2] 12/23 14/8</p> <p>marked [5] 13/1 14/11 14/14 15/24 16/2</p> <p>market [40] 17/9 21/4 25/10 26/18 26/20 27/1 27/5 27/13 27/14 28/23 29/7 35/18 35/23 35/24 36/6 36/15 37/2 37/5 37/9 37/17 37/18 39/2 39/5 39/18 44/9 44/17 50/10 52/1 61/10 61/20 62/18 62/22 62/24 64/4 72/24 73/2 73/8 73/12 93/19 120/5</p> <p>marketing [2] 49/6 50/6</p> <p>markets [1] 47/23</p> <p>master [2] 82/19 86/1</p> <p>match [1] 43/12</p> <p>material [2] 76/5 110/1</p> <p>materials [2] 110/3 110/6</p> <p>matter [4] 23/20 25/2 67/18 122/23</p> <p>matters [2] 5/12 8/24</p> <p>Matthew [2] 1/15 4/18</p> <p>maximize [1] 49/6</p> <p>maximum [3] 28/19 30/8 30/11</p> <p>may [44] 4/5 11/17 12/21 12/21 14/17 16/17 20/21 26/16 26/17 29/2 40/4 43/16 44/23 44/23 51/11 51/13 52/20 55/11 56/5 56/22 57/1 57/7 57/11 57/12 60/13 66/23 81/20 82/21 91/8 91/8 91/9 91/14 93/19 97/2 102/2 105/1 108/1 108/15 113/12 114/3 116/9 117/9 118/9 120/9</p> <p>May 2010 [1] 82/21</p> <p>maybe [10] 47/19 54/16 59/11 70/8 73/6 77/4 92/13 100/2 118/7 118/7</p> <p>me [32] 4/23 5/2 5/9 9/16 9/17 11/5 13/17 14/16 33/8 41/18 44/7 49/3 49/4 61/3 62/7 64/22 66/3 70/7 72/17 74/21 76/11 77/4 82/15 90/10 94/17 104/2 105/23 107/8 110/8 111/15 113/11 113/18</p> <p>mean [11] 26/21 38/3 55/18 56/15 60/18 66/19 67/17 89/11 92/4 107/11 113/22</p> <p>meaning [2] 48/24 118/12</p> <p>means [4] 67/21 96/1 96/5 100/9</p> <p>meant [3] 14/20 66/3 107/5</p> <p>meantime [1] 75/10</p> <p>mechanic [3] 47/4 70/9 71/10</p> <p>mechanism [2] 24/11 79/2</p> <p>meet [1] 53/4</p> <p>meeting [3] 70/8 97/12 102/4</p> <p>megawatt [10] 10/21 10/24 30/7 30/9</p>	<p>54/19 55/16 55/18 55/23 56/7 62/4</p> <p>megawatt-hour [3] 10/21 10/24 54/19</p> <p>megawatt-hours [6] 30/7 30/9 55/16 55/18 55/23 56/7</p> <p>megawatts [1] 55/21</p> <p>mention [1] 44/22</p> <p>mentioned [1] 48/8</p> <p>Mercoïd [7] 91/14 106/9 106/10 106/16 107/3 107/10 108/4</p> <p>mercury [2] 107/16 108/7</p> <p>merely [1] 98/11</p> <p>merits [1] 111/5</p> <p>Merrimack [20] 26/5 26/7 33/20 33/22 43/13 43/13 46/2 46/13 46/14 49/19 50/13 52/14 52/23 54/17 55/4 56/12 58/5 59/5 74/3 108/16</p> <p>met [2] 4/12 102/6</p> <p>metal [4] 74/13 76/11 77/22 78/1</p> <p>method [2] 53/8 65/6</p> <p>methodology [2] 21/7 23/8</p> <p>Michael [8] 1/11 2/5 3/7 5/4 6/5 6/12 8/18 13/18</p> <p>microphone [1] 116/9</p> <p>middle [3] 34/10 46/5 64/20</p> <p>midterm [2] 23/8 23/9</p> <p>might [9] 16/12 29/20 51/12 53/15 79/10 80/10 99/11 105/14 107/23</p> <p>migration [8] 29/9 29/13 29/15 29/22 64/2 64/9 72/21 73/22</p> <p>Mike [1] 106/1</p> <p>miles [1] 100/17</p> <p>million [14] 10/22 10/23 11/2 11/2 22/16 22/21 27/16 27/22 60/16 60/16 60/17 60/20 63/11 63/12</p> <p>mind [4] 23/14 28/13 103/5 122/2</p> <p>minds [1] 70/8</p> <p>mine [1] 32/9</p> <p>minute [1] 99/11</p> <p>minutes [2] 72/5 72/5</p> <p>miss [2] 115/19 115/19</p> <p>missing [2] 87/20 87/22</p> <p>mistake [2] 66/17 80/10</p> <p>misunderstood [1] 47/19</p> <p>mitigate [2] 33/11 33/12</p> <p>mitigating [1] 24/18</p> <p>mode [3] 69/22 70/1 108/17</p> <p>model [1] 56/21</p> <p>modeled [3] 54/14 57/1 57/5</p> <p>models [4] 54/22 54/22 55/1 103/10</p> <p>modern [2] 45/9 45/21</p> <p>modest [1] 41/7</p> <p>modification [3] 104/17 104/19 112/14</p> <p>modifications [1] 43/10</p> <p>modified [2] 80/5 114/23</p> <p>modify [1] 19/5</p> <p>moment [3] 23/2 36/10 92/12</p> <p>money [2] 51/23 99/9</p> <p>monitored [1] 19/24</p> <p>month [10] 11/17 26/3 29/2 53/3 55/5 55/19 55/21 57/1 57/7 58/7</p> <p>monthly [6] 53/1 53/9 54/22 55/1 56/2 56/2</p> <p>months [5] 25/24 49/9 49/9 50/18 55/10</p> <p>more [46] 16/11 20/19 26/8 26/8 33/10 33/13 35/14 35/15 37/24 39/21 41/9 48/11 49/1 51/22 59/1 61/19 61/23 63/2 63/2 64/2 71/22 71/24 77/5 77/17 80/2 80/12 80/24 88/5 89/3 89/7 89/9 94/7 95/11 95/16 98/14 101/14 102/18 102/23 103/2 103/4 104/20 108/3 113/7 113/9 113/16 120/9</p> <p>morning [8] 4/18 4/20 4/21 4/24 5/1 18/6 43/2 67/10</p> <p>most [9] 16/17 24/6 52/4 60/3 69/13 92/11 102/9 104/22 110/8</p> <p>mostly [1] 44/20</p>	<p>motor [2] 79/24 80/1</p> <p>mounted [8] 74/12 74/15 74/23 75/11 75/12 75/19 75/20 77/22</p> <p>mounting [1] 76/4</p> <p>move [5] 13/6 16/8 71/20 78/3 88/4</p> <p>moved [1] 34/15</p> <p>moving [7] 50/24 75/2 78/3 79/16 81/17 87/12 94/14</p> <p>Mr [32] 2/7 2/13 2/18 5/23 6/16 8/16 9/8 9/19 12/7 13/13 16/17 18/7 20/21 21/11 38/16 41/16 46/24 52/6 52/7 53/21 60/11 63/13 64/5 64/18 64/22 72/18 92/8 98/17 103/7 103/13 105/3 114/10</p> <p>Mr. [30] 5/21 7/8 7/22 9/8 9/9 10/3 10/9 14/20 16/17 16/17 19/20 20/9 21/9 25/14 25/18 26/9 29/24 43/8 63/7 63/8 72/14 86/23 92/9 92/14 114/7 114/12 114/17 115/7 115/9 120/18</p> <p>Mr. Baumann's [1] 115/7</p> <p>Mr. Cannata [3] 5/21 14/20 114/17</p> <p>Mr. Cannata's [3] 63/8 72/14 92/14</p> <p>Mr. Fossum [2] 114/7 120/18</p> <p>Mr. Mullen [1] 114/12</p> <p>Mr. Puzio [1] 115/9</p> <p>Mr. Smagula [8] 7/8 9/9 10/3 16/17 19/20 43/8 86/23 92/9</p> <p>Mr. Smagula's [3] 20/9 26/9 29/24</p> <p>Mr. White [8] 7/22 9/8 10/9 16/17 21/9 25/14 25/18 63/7</p> <p>Ms [8] 2/8 2/9 2/16 2/17 19/16 38/7 114/9 119/8</p> <p>Ms. [3] 20/14 34/15 116/24</p> <p>Ms. Chamberlin [3] 20/14 34/15 116/24</p> <p>much [16] 30/11 36/14 37/24 45/9 48/24 59/9 63/23 66/3 88/23 95/10 95/11 95/18 101/23 111/15 113/9 113/16</p> <p>Mullen [4] 1/19 2/13 5/2 114/12</p> <p>must [3] 61/18 74/13 76/16</p> <p>my [41] 6/18 7/2 7/16 8/8 9/18 10/19 11/6 14/17 16/24 17/24 22/11 22/18 25/12 27/16 29/17 32/8 38/11 42/2 42/6 43/20 47/6 53/19 60/2 64/17 67/19 70/9 70/22 72/16 75/19 76/21 77/4 87/18 90/11 90/16 90/17 91/2 93/10 99/8 100/10 104/3 115/23</p> <p>myriad [1] 120/5</p> <p>myself [1] 61/10</p> <hr/> <p><b>N</b></p> <p>name [5] 6/17 6/18 7/8 7/22 8/16</p> <p>naming [1] 88/10</p> <p>natural [2] 48/4 60/9</p> <p>nature [1] 8/22</p> <p>near [2] 17/11 116/8</p> <p>necessarily [2] 67/17 111/23</p> <p>necessary [5] 10/20 26/16 80/3 80/13 111/17</p> <p>need [17] 13/10 23/15 26/15 70/10 83/4 94/2 95/22 97/6 103/5 103/9 107/9 109/3 110/19 111/2 111/2 113/12 119/2</p> <p>needed [11] 19/23 49/19 55/8 76/6 78/16 82/19 94/15 94/21 112/20 112/20 113/10</p> <p>needs [4] 36/11 37/18 105/2 121/20</p> <p>net [10] 40/5 60/15 60/21 60/22 61/1 61/12 63/8 63/10 63/15 64/10</p> <p>never [4] 23/17 50/17 75/18 77/21</p> <p>new [41] 1/1 1/4 1/7 1/14 4/19 6/22 7/4 7/12 8/9 27/8 27/18 36/13 36/14 37/19 39/1 39/4 39/5 39/9 40/15 44/18 47/22 50/10 69/15 69/20 70/11 70/11 70/24 71/11 80/1 83/3 86/3 88/16 90/23 91/10 96/13 97/7 98/8 105/24 107/20 117/21 118/11</p> <p>Newington [31] 26/10 26/12 26/19 27/2 28/1 28/7 28/10 34/13 35/11 35/12 35/16 36/16 36/18 37/14 37/17 38/20 39/22 40/4 40/6 44/6 44/10 44/20 45/2 45/5 45/14 48/9</p>
--	---	--

<p><b>N</b></p> <p>Newington... [5] 59/1 78/4 78/19 79/18 117/15</p> <p>next [12] 11/18 13/7 22/4 41/13 55/14 59/21 99/22 102/13 103/19 108/23 109/8 109/24</p> <p>nice [2] 76/1 115/21</p> <p>no [63] 1/23 2/3 3/3 3/3 5/14 9/22 10/5 14/3 20/11 21/18 23/17 23/19 23/21 25/2 35/4 36/20 39/6 40/22 42/18 42/19 47/1 47/18 47/20 48/14 51/2 51/5 52/24 57/9 66/24 67/17 67/18 70/17 71/11 78/12 79/8 81/8 82/1 82/6 83/15 87/2 87/4 87/20 88/8 88/21 89/17 89/24 94/13 97/10 98/9 98/10 105/21 106/15 111/17 113/3 113/11 114/8 115/17 115/17 115/18 116/17 116/20 117/17 118/15</p> <p>non [1] 66/1</p> <p>non-existent [1] 66/1</p> <p>none [4] 5/15 101/10 116/18 116/21</p> <p>normal [1] 91/11</p> <p>normally [3] 70/4 71/17 75/11</p> <p>Northeast [3] 6/20 8/3 97/18</p> <p>not [145]</p> <p>note [1] 16/10</p> <p>noted [3] 55/3 121/18 122/4</p> <p>nothing [5] 40/22 98/14 111/11 112/2 112/21</p> <p>noticed [2] 4/15 34/20</p> <p>notified [1] 12/5</p> <p>Noting [1] 120/23</p> <p>now [45] 9/8 14/9 21/11 21/18 22/24 25/18 28/13 28/15 28/24 29/8 32/19 33/17 34/18 37/22 39/8 45/22 48/1 48/11 49/14 49/20 49/23 51/9 51/19 52/4 56/23 63/2 69/3 70/12 71/24 72/5 74/19 76/14 79/7 80/18 82/10 85/2 96/24 97/19 102/5 106/5 106/13 106/19 108/15 109/2 110/16</p> <p>NU [1] 27/18</p> <p>number [29] 19/1 21/15 23/14 23/17 27/21 28/14 30/8 30/15 30/16 31/2 36/24 47/14 53/1 56/21 56/21 59/18 61/12 79/7 95/24 96/15 96/21 99/17 99/21 99/23 102/14 102/14 108/14 117/16 118/20</p> <p>numbers [6] 34/23 53/17 61/13 62/11 63/4 108/14</p> <p>numerically [1] 72/16</p> <p>numerous [6] 18/12 23/21 23/21 33/12 103/6 103/7</p>	<p>Office [1] 1/17</p> <p>offset [3] 27/11 27/15 118/20</p> <p>offsetting [1] 121/17</p> <p>often [4] 32/17 45/3 49/8 50/3</p> <p>Oh [5] 21/12 31/12 36/20 49/3 87/20</p> <p>oil [12] 27/2 37/6 37/7 40/11 44/21 44/23 48/9 75/16 78/19 78/22 78/23 79/9</p> <p>okay [90] 21/10 25/13 26/23 27/23 28/6 29/24 30/13 31/1 31/5 31/16 31/17 31/18 32/9 34/1 34/5 35/9 37/14 41/16 44/6 44/16 45/21 46/2 46/8 46/11 46/17 47/13 47/19 51/8 52/3 53/7 54/12 54/21 55/6 55/14 56/4 56/11 56/19 56/23 57/5 58/9 58/12 58/20 58/23 59/4 59/10 60/11 60/21 61/8 61/14 63/7 64/1 64/8 64/12 64/14 65/1 66/8 68/10 68/15 69/7 71/19 72/19 72/20 73/17 74/1 74/5 77/4 78/3 78/3 79/14 79/16 81/3 81/13 81/17 84/2 84/24 85/21 86/19 87/21 88/2 88/4 91/22 100/11 105/7 106/19 107/2 107/6 108/10 114/4 115/5 116/22</p> <p>old [5] 69/14 75/24 85/19 85/21 117/17</p> <p>older [1] 33/9</p> <p>omitted [6] 31/7 31/23 34/21 35/8 46/10 46/11</p> <p>on [245]</p> <p>Once [1] 84/20</p> <p>one [40] 5/24 14/17 24/18 29/8 31/6 32/6 32/14 32/22 40/20 43/23 47/22 55/14 55/22 55/23 57/1 61/3 62/13 70/14 73/18 73/22 74/20 76/10 79/23 83/17 87/13 88/2 89/21 95/2 100/23 101/14 102/12 103/3 104/20 108/23 109/8 109/21 109/22 109/24 111/16 115/5</p> <p>one-hour [1] 79/23</p> <p>one-time [1] 24/18</p> <p>one-way [1] 73/22</p> <p>ones [2] 31/2 101/14</p> <p>only [17] 22/8 26/15 40/19 47/3 47/17 50/1 57/5 67/3 73/23 75/21 76/5 89/21 91/23 94/1 96/7 100/8 107/22</p> <p>onto [3] 13/6 79/19 85/5</p> <p>open [4] 4/2 20/1 24/18 66/13</p> <p>opened [2] 65/3 66/16</p> <p>opening [2] 65/7 65/22</p> <p>openly [1] 92/24</p> <p>operate [3] 30/16 76/7 93/7</p> <p>operates [3] 27/5 39/7 117/16</p> <p>operating [4] 6/21 117/18 117/18 119/14</p> <p>operation [9] 17/22 43/16 74/14 75/6 75/13 85/18 120/12 122/11 122/14</p> <p>operational [1] 40/10</p> <p>operations [5] 41/3 48/16 92/15 94/10 94/12</p> <p>operator [15] 47/4 65/9 67/4 67/17 67/20 67/21 74/7 80/8 80/9 80/10 81/3 81/7 81/10 81/15 81/16</p> <p>opinion [3] 93/10 97/12 99/8</p> <p>opportunity [2] 93/12 116/6</p> <p>option [1] 35/13</p> <p>options [1] 104/14</p> <p>or [130]</p> <p>order [15] 18/6 20/19 36/4 41/4 48/15 49/6 51/9 68/19 78/22 86/20 89/12 103/11 113/16 120/20 120/22</p> <p>organization [1] 68/14</p> <p>original [1] 109/22</p> <p>originally [1] 89/4</p> <p>other [34] 8/24 14/1 37/15 39/1 39/13 41/10 44/4 48/21 49/15 50/2 53/11 55/10 55/11 56/14 56/22 57/9 57/22 62/17 87/23 89/6 97/17 99/20 100/8 101/8 105/21 113/21 114/2 115/6 115/10 115/12 116/13 117/22 120/6 121/13</p> <p>others [2] 95/17 104/24</p> <p>otherwise [3] 37/8 50/4 101/5</p>	<p>our [55] 5/4 6/21 19/7 24/3 29/21 36/3 36/5 39/14 46/12 47/22 48/3 48/15 48/15 48/16 48/18 48/22 49/4 49/5 49/7 50/1 51/5 51/10 51/10 51/15 51/19 51/21 51/22 51/23 71/10 83/15 91/11 93/11 93/16 94/19 95/1 95/4 95/4 95/5 96/24 98/5 102/16 103/3 103/5 103/23 104/5 110/22 111/6 111/24 112/1 112/16 112/17 112/23 113/2 113/2 114/6</p> <p>ourselves [1] 93/14</p> <p>out [30] 22/7 23/24 40/19 45/17 53/2 62/2 62/2 62/23 64/15 70/2 70/14 76/24 77/12 79/17 81/20 85/11 86/3 86/24 89/23 92/1 94/5 94/11 100/24 101/1 101/17 106/5 106/16 106/17 108/18 109/19</p> <p>outage [37] 41/11 49/15 65/13 65/16 68/2 68/8 69/4 74/21 76/20 79/20 83/18 85/10 85/22 86/10 86/12 86/15 86/16 87/16 87/16 89/3 89/6 89/8 89/15 89/19 97/22 99/3 99/13 109/1 109/2 109/5 112/16 112/17 112/22 113/4 113/6 113/9 122/8</p> <p>outages [40] 17/13 17/16 17/17 18/15 18/22 19/1 31/7 31/23 33/10 33/13 33/14 33/24 34/1 34/6 34/16 34/20 34/21 34/24 35/6 35/8 41/6 46/10 46/11 46/14 46/16 46/17 49/1 50/1 51/10 53/11 68/12 68/21 74/3 78/4 89/13 89/14 100/5 102/7 121/8 121/13</p> <p>outdoor [1] 74/16</p> <p>outlawed [1] 108/7</p> <p>output [1] 93/21</p> <p>outside [2] 46/16 75/20</p> <p>over [23] 16/24 23/22 26/2 29/17 30/7 40/24 58/13 58/14 63/19 66/14 67/19 93/9 100/4 100/7 100/24 101/5 101/8 101/19 102/1 102/6 109/14 112/4 115/12</p> <p>overall [2] 38/22 59/4</p> <p>overestimated [1] 60/4</p> <p>overhaul [5] 80/2 81/23 82/22 85/9 85/23</p> <p>overhauls [1] 49/8</p> <p>overload [4] 80/3 80/13 101/2 101/3</p> <p>overloads [1] 102/7</p> <p>overpriced [1] 62/19</p> <p>overran [1] 89/23</p> <p>overrecoveries [1] 24/19</p> <p>overrecovery [2] 24/1 121/6</p> <p>own [7] 21/5 51/19 61/5 61/5 70/23 110/22 119/11</p> <p>owned [1] 7/18</p>
<p><b>O</b></p> <p>objection [1] 116/15</p> <p>objective [1] 22/12</p> <p>obligation [1] 62/10</p> <p>obvious [1] 117/15</p> <p>obviously [12] 16/11 21/22 48/7 50/16 52/19 54/18 70/23 90/11 91/23 92/8 106/11 110/7</p> <p>OCA's [1] 120/2</p> <p>occasional [1] 50/2</p> <p>occasions [1] 23/22</p> <p>occur [5] 47/14 86/14 86/17 102/23 108/2</p> <p>occurred [6] 25/16 32/2 62/24 78/13 87/1 96/21</p> <p>occurrences [1] 83/8</p> <p>occurring [3] 33/19 78/17 100/17</p> <p>occurs [2] 93/6 94/22</p> <p>October [1] 13/19</p> <p>off [18] 6/1 6/2 11/15 12/2 21/17 23/2 33/4 49/17 49/19 50/24 59/6 62/3 72/1 72/2 82/10 84/7 95/6 116/11</p> <p>off-peak [2] 11/15 12/2</p> <p>off-the-record [2] 6/2 72/2</p> <p>offer [1] 16/7</p>	<p>operational [1] 40/10</p> <p>operations [5] 41/3 48/16 92/15 94/10 94/12</p> <p>operator [15] 47/4 65/9 67/4 67/17 67/20 67/21 74/7 80/8 80/9 80/10 81/3 81/7 81/10 81/15 81/16</p> <p>opinion [3] 93/10 97/12 99/8</p> <p>opportunity [2] 93/12 116/6</p> <p>option [1] 35/13</p> <p>options [1] 104/14</p> <p>or [130]</p> <p>order [15] 18/6 20/19 36/4 41/4 48/15 49/6 51/9 68/19 78/22 86/20 89/12 103/11 113/16 120/20 120/22</p> <p>organization [1] 68/14</p> <p>original [1] 109/22</p> <p>originally [1] 89/4</p> <p>other [34] 8/24 14/1 37/15 39/1 39/13 41/10 44/4 48/21 49/15 50/2 53/11 55/10 55/11 56/14 56/22 57/9 57/22 62/17 87/23 89/6 97/17 99/20 100/8 101/8 105/21 113/21 114/2 115/6 115/10 115/12 116/13 117/22 120/6 121/13</p> <p>others [2] 95/17 104/24</p> <p>otherwise [3] 37/8 50/4 101/5</p>	<p><b>P</b></p> <p>P.E [2] 3/8 13/18</p> <p>p.m [2] 72/8 123/4</p> <p>package [3] 77/2 77/3 87/18</p> <p>page [61] 2/3 3/3 10/19 10/19 11/1 11/8 11/10 16/22 17/12 17/18 17/20 27/21 29/24 31/16 31/17 31/22 33/17 34/2 34/9 41/17 46/2 47/8 50/12 53/17 53/22 54/6 54/11 59/11 59/21 59/21 60/11 64/20 64/20 68/17 68/19 72/15 72/18 72/20 74/1 78/4 79/16 79/19 81/18 87/12 87/13 87/19 88/4 88/7 89/1 89/2 90/24 95/24 99/22 100/3 106/8 106/8 106/8 108/13 109/14 114/17 114/22</p> <p>Page 052 [1] 10/19</p> <p>Page 059 [2] 11/8 11/10</p> <p>Page 121 [1] 34/9</p> <p>Page 123 [1] 33/17</p> <p>Page 124 [1] 31/16</p> <p>Page 142 [1] 54/11</p> <p>Page 3 [3] 10/19 17/18 29/24</p> <p>Page 4 [1] 108/13</p> <p>Page 53 [1] 59/21</p> <p>Page 54 [2] 72/15 114/17</p> <p>Page 58 [1] 74/1</p> <p>Page 6 [2] 106/8 109/14</p>

<p><b>P</b></p> <p>Page 68 [1] 78/4  Page 79 [1] 87/12  Page 84 [1] 79/16  Page 86 [1] 88/4  pages [13] 11/6 13/21 30/20 30/23 30/24 31/2 34/17 35/2 43/7 68/19 72/16 87/20 87/23  paid [1] 28/21  panel [9] 2/4 5/16 5/21 60/14 65/10 65/19 65/21 67/13 75/12  panels [2] 65/7 67/22  paragraph [3] 47/9 89/15 114/22  parameter [1] 22/2  parameters [1] 66/6  Pardon [1] 14/16  part [12] 47/15 60/3 75/4 80/12 81/9 84/1 86/15 89/11 91/11 96/8 101/17 110/20  part's [2] 71/5 109/11  participate [2] 14/21 15/5  participated [1] 115/12  participating [1] 5/9  particular [10] 16/10 38/5 44/23 79/3 80/16 89/19 100/15 107/11 117/20 118/24  parties [2] 4/16 12/5  parts [11] 69/13 70/22 70/24 71/12 109/10 109/12 110/20 112/3 112/4 112/15 112/19  party [1] 93/7  pass [1] 79/9  passed [1] 85/5  past [8] 23/22 24/6 24/14 24/20 48/13 51/19 52/21 107/11  Patch [1] 5/7  path [1] 103/14  Patnaude [1] 1/23  pause [1] 79/23  pay [5] 67/16 70/17 76/20 77/10 80/15  payment [1] 27/18  payments [7] 27/10 28/8 28/17 29/2 29/5 39/12 118/19  pays [3] 27/13 70/17 70/19  peak [6] 11/15 12/2 26/5 48/2 48/2 100/24  peaking [1] 117/19  penalty [4] 97/11 98/3 98/21 99/5  pending [1] 42/8  people [10] 18/13 31/13 74/24 89/18 91/6 103/9 104/1 109/20 114/2 115/20  per [6] 10/21 10/24 21/15 42/14 55/16 55/18  percent [18] 28/20 29/13 29/18 29/22 29/23 32/13 33/22 34/3 35/12 45/19 45/20 45/21 45/23 46/9 57/3 63/20 73/1 93/22  percentage [1] 45/15  perfect [1] 113/4  perform [3] 86/1 89/8 109/22  performance [8] 4/11 34/10 41/12 75/7 75/9 77/1 77/12 121/12  performed [4] 65/5 69/2 71/11 109/10  perhaps [7] 16/12 24/10 26/2 91/6 102/18 113/15 117/20  period [15] 17/17 23/7 24/4 30/6 30/7 30/17 49/12 49/21 51/6 51/15 56/16 57/13 57/13 96/17 103/1  periodic [1] 106/15  periods [3] 26/2 51/11 53/3  permission [1] 114/11  persisted [1] 68/24  person [10] 65/13 66/5 66/13 66/14 66/22 70/18 76/17 77/6 97/17 102/16  personnel [3] 50/21 95/5 103/21  perspective [2] 68/8 93/15  phasing [1] 80/7  phenomenon [1] 47/22  physically [1] 76/6</p>	<p>picked [4] 36/7 36/23 37/3 37/6  piece [1] 49/16  pieces [1] 41/4  pin [1] 66/19  place [7] 62/9 80/16 84/14 95/12 103/24 110/15 110/16  placed [2] 74/8 74/9  placement [1] 74/13  plan [14] 41/22 41/23 42/2 42/9 105/5 105/8 105/9 105/11 105/12 105/18 114/21 114/23 115/2 121/21  planned [30] 31/7 31/23 32/1 32/4 33/10 33/13 33/14 33/24 34/6 34/16 34/20 34/21 34/24 35/6 35/7 46/10 46/11 46/16 46/17 49/7 50/1 51/7 89/4 89/13 89/14 89/16 108/1 109/2 112/16 121/8  planning [7] 37/22 38/4 52/11 89/11 108/24 120/9 121/19  plant [36] 30/19 31/6 37/23 39/19 39/24 40/10 45/6 45/7 45/10 45/14 45/22 50/16 50/24 52/14 52/15 52/15 58/16 60/4 67/14 76/15 77/9 79/17 81/20 82/10 107/14 109/19 109/23 117/15 117/17 117/17 117/18 117/19 117/22 121/12 121/13 122/19  plants [11] 37/15 38/11 45/24 51/5 53/11 61/5 117/8 119/2 119/4 120/12 122/15  please [8] 4/17 6/8 6/17 7/9 7/23 8/17 30/4 55/7  plug [3] 69/20 70/16 70/18  plugs [3] 70/11 70/11 70/14  point [10] 21/16 21/17 26/9 37/23 39/17 77/4 79/3 89/23 91/5 118/14  pointed [1] 102/18  points [1] 111/22  policy [3] 67/22 88/16 88/23  popped [1] 66/4  portfolio [3] 8/10 27/14 44/2  portion [2] 9/18 28/9  position [9] 6/24 7/14 7/15 7/16 8/1 8/5 8/6 92/13 111/6  possesses [1] 39/1  possibility [2] 65/8 65/22  possible [7] 22/4 22/13 22/15 65/5 96/21 96/24 110/18  possibly [1] 74/22  potentially [1] 44/21  pounds [1] 80/22  power [20] 8/10 17/15 18/18 18/20 21/7 26/11 28/20 41/9 51/24 57/13 87/3 87/9 109/19 121/1 121/2 121/8 121/13 121/14 121/19 122/15  practice [5] 49/14 76/12 108/21 109/13 110/9  practices [2] 19/6 112/3  practicing [1] 110/10  precautions [2] 48/22 48/24  preface [2] 90/10 90/16  prefaced [1] 38/3  prefer [1] 13/7  preference [1] 90/10  prefiled [1] 9/9  preparation [2] 12/8 53/5  prepared [3] 9/12 9/16 95/11  PRESENT [1] 1/10  presented [5] 5/21 17/4 22/1 117/14 122/5  presenting [1] 22/1  President [1] 7/16  Presiding [1] 1/10  press [2] 80/22 80/23  pressed [1] 113/3  pressing [1] 105/1  pressure [16] 48/20 66/3 66/6 74/10 74/12 74/15 75/11 75/18 75/22 75/23 76/2 76/3 79/5 82/2 82/5 82/9</p>	<p>pretty [2] 28/11 93/10  prevent [3] 78/16 98/4 118/7  previous [3] 20/2 81/21 105/10  previously [5] 7/5 7/19 8/11 9/4 53/8  price [26] 11/19 11/23 21/4 35/22 35/22 36/1 36/20 36/21 37/5 37/5 40/12 40/14 40/15 40/24 48/3 48/7 51/11 52/2 57/16 57/18 57/21 60/8 60/9 62/8 62/22 120/7  priced [1] 64/3  prices [18] 26/17 27/1 36/10 47/24 48/5 49/22 49/24 50/19 53/4 53/10 62/10 62/18 73/2 73/9 73/12 73/13 73/22 118/9  primarily [1] 43/21  prime [1] 57/15  principle [1] 68/13  prior [12] 19/21 25/6 26/9 41/10 85/22 86/10 105/10 111/22 112/23 119/12 119/12 121/5  probability [2] 50/23 66/2  probably [6] 25/14 56/17 67/1 71/1 81/4 88/20  problem [20] 68/22 68/24 69/17 69/19 70/10 70/12 70/13 78/6 78/13 78/14 81/6 83/10 83/22 83/22 84/18 85/1 85/14 86/14 86/17 101/10  problematic [1] 107/18  problems [7] 85/3 85/4 85/19 95/11 103/12 103/13 107/18  procedural [1] 91/9  procedure [11] 78/9 78/12 78/14 78/15 78/18 78/20 78/21 79/11 80/21 81/15 112/14  procedures [4] 66/21 68/5 68/6 112/3  proceed [2] 6/8 91/21  proceeding [5] 12/5 120/7 120/11 120/23 122/1  process [11] 17/7 52/21 52/22 79/2 80/16 81/1 81/1 83/6 109/1 112/15 121/19  procurement [2] 17/3 17/6  procuring [1] 39/21  produce [3] 61/5 61/9 89/22  produced [4] 30/11 30/12 56/9 56/12  producing [2] 63/10 64/9  products [1] 39/1  program [2] 67/6 107/9  Project [1] 46/13  projected [13] 23/7 37/18 53/22 54/7 54/14 56/21 58/1 58/5 58/24 59/2 59/16 59/17 59/22  projection [4] 23/2 29/19 39/16 58/13  projections [7] 17/6 52/9 52/13 52/18 53/5 57/24 60/6  projects [2] 53/2 53/12  pronounce [1] 72/21  proper [7] 67/5 67/6 67/9 71/4 71/5 79/11 85/12  properly [3] 69/8 69/11 70/6  proposal [2] 5/13 24/9  proposed [2] 4/6 23/24  prospective [2] 120/10 120/15  protection [1] 80/1  provide [5] 6/21 8/21 14/5 67/9 103/16  provided [6] 10/16 12/3 18/7 37/7 40/5 63/13  provides [1] 38/20  providing [3] 38/23 111/23 119/15  provisions [2] 16/13 16/19  prudence [3] 40/8 76/22 121/14  prudency [2] 46/24 95/7  prudent [23] 20/23 21/2 23/19 38/10 62/20 65/13 65/14 65/17 66/11 66/12 66/17 67/3 68/1 68/2 74/21 77/10 92/15 103/14 117/4 118/9 118/13 118/13 119/14  prudently [4] 24/24 121/9 122/6 122/14  PSNH [69] 4/5 4/12 12/16 17/14 17/22</p>
--	---	---

<p><b>P</b></p> <p>PSNH... [64] 18/19 19/3 24/17 24/24 26/15 27/12 27/13 27/19 29/10 39/6 47/3 53/4 56/6 61/20 68/22 68/23 74/16 76/22 78/9 78/11 78/14 78/18 78/19 78/23 80/4 80/7 81/21 82/15 82/18 82/20 86/9 89/5 89/18 96/2 96/2 96/4 98/12 98/18 99/20 99/23 100/13 102/12 104/21 105/4 108/18 109/2 109/9 109/15 109/24 117/2 117/8 117/24 118/2 118/3 119/13 120/24 121/4 121/9 122/6 122/7 122/8 122/10 122/13 122/17</p> <p>PSNH's [16] 4/3 4/11 20/23 27/5 41/18 42/1 42/2 52/7 52/8 89/7 114/22 117/11 120/4 121/15 121/19 121/21</p> <p>public [39] 1/2 1/7 1/14 4/19 6/22 7/3 7/12 7/18 8/9 52/12 53/9 60/23 61/16 65/15 69/8 69/10 69/23 71/13 75/3 76/15 77/23 81/6 82/24 83/5 84/1 84/11 84/23 85/11 86/12 86/19 87/8 88/5 88/9 88/12 97/24 101/15 102/5 110/9 119/24</p> <p>PUC [2] 1/18 119/24</p> <p>purchase [7] 11/1 12/2 12/2 21/7 26/16 36/5 80/11</p> <p>purchases [23] 11/15 11/17 11/22 17/3 17/8 25/10 35/17 41/20 41/21 61/1 62/15 62/16 62/20 62/23 63/22 64/3 72/24 121/2 121/8 121/10 121/13 121/14 122/15</p> <p>purchasing [1] 26/11</p> <p>purpose [1] 120/22</p> <p>purposes [5] 10/17 12/4 22/2 22/20 55/20</p> <p>pursuant [2] 119/15 119/24</p> <p>pursue [1] 120/14</p> <p>pushed [1] 81/5</p> <p>put [16] 18/18 22/2 22/19 25/9 25/21 44/12 52/24 61/11 66/15 76/1 77/1 85/12 92/13 97/21 99/1 110/3</p> <p>puts [2] 68/4 70/11</p> <p>putting [2] 69/20 109/18</p> <p>Puzio [1] 115/9</p>	<p>118/1</p> <p>ratepayers' [1] 80/14</p> <p>rates [3] 24/12 42/16 121/7</p> <p>rather [10] 11/18 11/20 11/22 11/24 50/9 51/17 63/15 89/12 108/19 108/21</p> <p>rating [2] 29/6 54/20</p> <p>rationale [1] 31/23</p> <p>RE [1] 1/6</p> <p>reach [1] 18/21</p> <p>reached [2] 18/14 24/9</p> <p>read [15] 10/12 10/20 11/2 11/17 11/19 11/22 11/23 16/11 78/5 79/21 95/24 113/13 113/20 113/24 114/3</p> <p>reading [3] 69/4 74/7 79/14</p> <p>readings [1] 75/17</p> <p>ready [4] 6/7 32/16 48/16 55/8</p> <p>real [1] 66/7</p> <p>realistic [1] 72/24</p> <p>reality [1] 58/14</p> <p>really [14] 16/21 17/13 17/19 22/8 22/11 22/21 23/17 24/10 52/13 94/2 96/1 101/21 105/9 115/14</p> <p>reason [13] 41/1 49/15 52/10 62/11 62/21 65/15 67/24 68/5 75/1 81/3 87/24 99/15 107/11</p> <p>reasonable [18] 17/7 20/23 21/14 23/20 52/10 53/6 60/6 65/9 91/20 111/8 117/5 117/7 118/10 118/14 118/15 119/14 119/20 119/22</p> <p>reasonableness [1] 121/15</p> <p>reasonably [2] 122/7 122/14</p> <p>reasoning [1] 20/4</p> <p>reasons [6] 23/1 32/17 36/19 43/23 88/12 89/5</p> <p>reassigned [1] 89/18</p> <p>rebuild [1] 101/23</p> <p>REC [1] 58/17</p> <p>recall [7] 32/23 46/12 87/11 91/5 97/1 99/4 99/7</p> <p>receive [1] 86/20</p> <p>received [3] 12/19 27/10 92/22</p> <p>receives [1] 29/2</p> <p>recent [2] 25/24 52/11</p> <p>recently [1] 24/1</p> <p>Recess [1] 72/7</p> <p>recognize [3] 65/11 90/12 115/6</p> <p>recognizing [1] 37/22</p> <p>recollection [2] 27/16 29/17</p> <p>recommend [2] 81/12 122/7</p> <p>recommendation [11] 17/10 24/3 42/10 68/20 69/12 85/15 99/17 99/20 100/1 101/13 113/17</p> <p>recommendations [11] 17/21 19/2 19/19 19/21 20/2 20/10 91/7 91/8 94/11 110/8 111/21</p> <p>recommended [4] 20/3 24/2 100/4 122/11</p> <p>recommends [1] 110/18</p> <p>reconcile [1] 120/24</p> <p>reconciled [1] 121/16</p> <p>reconciliation [10] 1/7 3/4 4/3 4/6 4/9 10/15 17/16 19/22 39/16 42/12</p> <p>record [14] 6/1 6/2 6/16 6/17 7/9 7/23 8/17 10/12 72/1 72/2 72/10 91/22 92/6 97/21</p> <p>recover [3] 22/5 86/20 122/7</p> <p>recovered [3] 22/5 42/11 121/12</p> <p>recovery [9] 4/8 17/14 18/20 22/20 24/21 25/1 87/7 118/21 121/1</p> <p>RECs [1] 44/1</p> <p>red [1] 32/8</p> <p>redirect [4] 2/13 114/7 114/9 114/15</p> <p>reduce [2] 61/20 79/5</p> <p>reduce...similar [1] 83/7</p> <p>reduced [5] 17/9 33/14 33/15 41/6 82/17</p> <p>reducing [1] 51/10</p> <p>reduction [3] 51/21 52/24 99/13</p>	<p>reductions [1] 59/22</p> <p>Reed [7] 106/13 106/20 106/21 106/24 107/4 107/7 108/5</p> <p>refer [3] 53/14 67/20 118/23</p> <p>reference [1] 11/4</p> <p>referenced [1] 19/20</p> <p>referred [3] 49/8 53/3 62/15</p> <p>referring [6] 21/6 41/22 72/14 115/2 118/24 120/20</p> <p>refinement [1] 112/13</p> <p>reflecting [1] 56/1</p> <p>reflects [1] 89/15</p> <p>refurbished [3] 70/22 109/10 109/12</p> <p>regard [4] 16/5 40/4 72/20 113/9</p> <p>regarding [7] 17/22 18/16 68/21 87/2 121/9 121/19 122/11</p> <p>regardless [1] 52/1</p> <p>region [4] 39/10 39/13 46/1 117/20</p> <p>regional [4] 27/5 27/13 27/14 29/7</p> <p>register [1] 76/4</p> <p>reimbursed [2] 36/5 39/12</p> <p>reinforce [2] 91/1 109/15</p> <p>reinserted [1] 86/7</p> <p>reiterate [1] 47/21</p> <p>iteration [1] 47/6</p> <p>relate [1] 47/11</p> <p>related [1] 121/20</p> <p>relation [1] 114/21</p> <p>relatively [1] 120/6</p> <p>relay [18] 68/22 68/23 69/1 69/9 69/10 69/17 70/2 70/4 71/13 74/10 74/12 74/14 74/17 74/23 75/11 75/18 76/2 76/7</p> <p>relays [3] 74/15 75/15 80/1</p> <p>released [1] 88/11</p> <p>relevant [2] 33/13 40/2</p> <p>reliability [6] 41/8 48/15 91/15 100/6 102/4 102/22</p> <p>relocated [1] 74/17</p> <p>reluctant [1] 104/4</p> <p>remained [2] 62/3 62/4</p> <p>remedies [1] 100/8</p> <p>remember [2] 50/11 56/17</p> <p>remote [1] 103/4</p> <p>removal [2] 107/15 107/17</p> <p>removed [1] 107/14</p> <p>Renewable [1] 44/2</p> <p>reoccurring [1] 83/10</p> <p>repair [1] 70/19</p> <p>repaired [1] 49/16</p> <p>repetitive [1] 79/23</p> <p>replaced [6] 80/18 80/19 106/12 107/12 107/19 117/22</p> <p>replacement [16] 17/15 18/18 70/18 87/3 87/7 87/9 106/13 106/20 106/24 107/3 107/7 107/10 107/15 109/17 109/21 121/13</p> <p>replacing [2] 91/13 108/5</p> <p>replicative [1] 59/15</p> <p>report [2] 92/24 103/16</p> <p>reporter [5] 1/23 6/6 31/8 54/23 73/10</p> <p>reports [1] 10/18</p> <p>represent [2] 12/1 61/13</p> <p>representation [1] 41/19</p> <p>Reptg [3] 1/14 1/16 1/18</p> <p>request [5] 53/15 96/12 97/15 98/11 118/3</p> <p>requested [4] 20/5 96/6 96/9 98/19</p> <p>require [1] 107/19</p> <p>required [3] 78/21 78/24 102/14</p> <p>requirement [2] 7/3 79/7</p> <p>requirements [5] 4/13 7/1 75/9 77/1 105/15</p> <p>requires [2] 100/22 101/15</p> <p>researched [1] 85/11</p> <p>reserve [7] 25/9 53/2 54/14 55/4 55/7 56/13 57/16</p> <p>reset [4] 85/7 86/16 86/18 102/24</p>
<p><b>Q</b></p> <p>qualification [1] 76/17</p> <p>qualified [4] 76/23 77/5 77/6 77/6</p> <p>qualifier [2] 73/8 73/12</p> <p>qualify [1] 44/1</p> <p>quantum [1] 50/9</p> <p>question [18] 13/13 14/17 16/5 18/18 38/3 38/5 38/6 47/10 52/10 60/2 68/17 74/22 88/20 91/2 97/22 100/11 105/22 114/1</p> <p>questioning [3] 70/1 72/10 114/7</p> <p>questions [27] 9/23 10/6 14/4 18/15 19/13 20/14 20/16 20/20 41/16 43/1 43/22 52/4 64/14 64/17 71/22 71/24 72/16 90/6 90/11 90/17 95/21 105/22 106/7 111/1 114/5 114/12 115/24</p> <p>quick [2] 13/23 59/12</p> <p>quicker [1] 89/22</p> <p>quickly [3] 28/11 64/17 114/14</p> <p>quite [5] 58/15 71/21 78/21 83/24 98/18</p> <p>quoted [1] 51/14</p>	<p><b>R</b></p> <p>raised [1] 111/1</p> <p>ramifications [1] 57/23</p> <p>ran [5] 41/10 45/3 54/22 55/1 59/1</p> <p>range [2] 17/24 45/23</p> <p>rapidly [1] 108/3</p> <p>rate [25] 20/22 21/19 21/20 21/21 22/1 22/4 22/12 22/14 23/3 23/9 23/13 23/14 23/18 23/24 24/16 24/18 27/11 29/8 29/23 45/11 45/12 45/13 45/15 99/12 121/23</p> <p>rated [2] 55/19 55/20</p> <p>ratepayer [1] 76/19</p> <p>ratepayers [5] 1/16 4/23 67/15 71/8</p>	<p>relocated [1] 74/17</p> <p>reluctant [1] 104/4</p> <p>remained [2] 62/3 62/4</p> <p>remedies [1] 100/8</p> <p>remember [2] 50/11 56/17</p> <p>remote [1] 103/4</p> <p>removal [2] 107/15 107/17</p> <p>removed [1] 107/14</p> <p>Renewable [1] 44/2</p> <p>reoccurring [1] 83/10</p> <p>repair [1] 70/19</p> <p>repaired [1] 49/16</p> <p>repetitive [1] 79/23</p> <p>replaced [6] 80/18 80/19 106/12 107/12 107/19 117/22</p> <p>replacement [16] 17/15 18/18 70/18 87/3 87/7 87/9 106/13 106/20 106/24 107/3 107/7 107/10 107/15 109/17 109/21 121/13</p> <p>replacing [2] 91/13 108/5</p> <p>replicative [1] 59/15</p> <p>report [2] 92/24 103/16</p> <p>reporter [5] 1/23 6/6 31/8 54/23 73/10</p> <p>reports [1] 10/18</p> <p>represent [2] 12/1 61/13</p> <p>representation [1] 41/19</p> <p>Reptg [3] 1/14 1/16 1/18</p> <p>request [5] 53/15 96/12 97/15 98/11 118/3</p> <p>requested [4] 20/5 96/6 96/9 98/19</p> <p>require [1] 107/19</p> <p>required [3] 78/21 78/24 102/14</p> <p>requirement [2] 7/3 79/7</p> <p>requirements [5] 4/13 7/1 75/9 77/1 105/15</p> <p>requires [2] 100/22 101/15</p> <p>researched [1] 85/11</p> <p>reserve [7] 25/9 53/2 54/14 55/4 55/7 56/13 57/16</p> <p>reset [4] 85/7 86/16 86/18 102/24</p>

<p><b>R</b></p> <p>residential [8] 1/16 4/22 29/10 36/12 117/6 117/11 117/21 118/11 residential/commercial [1] 29/10 resistance [1] 65/24 resolution [1] 119/23 resolve [1] 103/18 resource [2] 28/17 121/21 resources [4] 25/9 103/23 112/18 113/10 respect [4] 17/7 21/23 24/4 122/14 respectfully [1] 120/7 respects [1] 90/20 response [6] 5/14 47/10 68/4 99/23 104/9 116/20 responsibilities [5] 6/24 7/2 7/14 8/5 8/8 responsibility [3] 7/17 80/15 104/4 responsible [3] 19/4 96/9 96/10 rest [1] 44/18 resting [1] 74/24 restoring [1] 88/18 result [9] 19/6 35/17 63/22 80/6 91/8 91/9 91/9 108/16 118/10 resulted [3] 15/10 75/2 112/6 resulting [5] 66/18 78/7 80/12 119/18 120/5 results [2] 59/9 91/15 resume [1] 72/5 resumed [1] 72/8 retied [1] 28/7 retired [1] 37/16 retirement [3] 117/15 118/1 122/20 retiring [3] 39/18 39/23 115/8 retrospective [1] 120/16 return [1] 83/14 returned [1] 83/16 returning [1] 15/4 revealed [3] 82/6 82/16 83/15 revenue [4] 7/1 7/2 27/17 27/22 revenues [7] 4/6 4/9 22/9 120/24 121/4 121/18 122/16 reverse [3] 48/13 68/22 76/2 reverted [1] 83/1 review [25] 18/4 18/9 18/13 18/24 20/1 20/6 42/2 90/22 91/1 92/21 94/7 94/8 94/9 94/15 95/4 95/8 95/9 95/10 99/19 108/19 109/2 110/1 110/18 111/3 112/9 reviewed [7] 8/23 19/21 52/7 105/4 105/16 112/11 122/3 reviewing [1] 111/12 reviews [5] 19/5 95/14 103/17 121/8 121/12 RFP [2] 75/7 76/16 Rick [1] 5/19 rid [1] 108/3 right [34] 5/11 5/22 11/19 19/15 20/13 25/5 27/4 28/13 28/15 29/4 33/6 39/8 46/15 59/18 59/23 61/14 62/12 65/5 67/1 70/4 71/19 71/24 72/9 78/2 78/3 87/12 93/11 101/20 102/4 105/16 107/5 108/10 116/13 122/23 right-hand [2] 59/18 59/23 rigorous [1] 110/22 ringing [1] 116/7 risk [1] 102/24 Robert [6] 1/11 2/4 3/5 6/3 6/9 6/18 Roman [1] 16/22 room [1] 115/10 root [1] 83/22 RSA [1] 117/3 Rule [1] 119/24 ruled [1] 105/6 rules [1] 66/21 run [28] 26/4 26/15 28/2 28/6 28/11 28/22 32/16 32/17 33/3 35/14 35/15 37/14 37/19</p>	<p>48/9 48/16 48/23 51/24 52/15 55/8 55/9 55/11 57/2 68/13 89/17 94/2 103/10 104/13 119/2 running [12] 21/5 28/19 35/13 35/19 36/16 37/24 39/22 40/6 48/11 51/3 57/3 102/16 runs [7] 26/12 28/1 40/16 55/22 58/19 58/20 58/20</p> <p><b>S</b></p> <p>safety [1] 66/21 said [12] 47/1 56/6 77/21 77/23 80/17 82/14 82/15 84/24 96/23 98/19 115/16 115/17 sake [1] 31/13 sales [1] 61/1 same [23] 9/15 9/23 9/24 10/6 10/7 14/4 14/5 16/5 25/11 32/22 43/7 50/5 52/22 58/13 59/13 70/12 82/4 82/10 85/3 94/14 94/21 109/18 114/3 Sandy [1] 1/13 saving [2] 51/23 79/1 savings [5] 63/18 63/21 79/9 89/22 90/1 say [45] 23/3 23/15 25/15 28/7 31/10 37/23 38/11 39/9 41/2 41/17 41/21 48/17 52/20 54/10 56/24 60/21 61/4 66/12 67/15 69/7 69/17 70/13 74/11 75/11 76/10 77/5 79/10 80/6 80/21 86/23 91/22 96/13 96/16 96/20 97/2 97/2 97/7 97/19 100/1 102/6 102/18 112/5 112/17 113/3 113/11 saying [15] 33/21 34/2 53/7 55/10 63/9 65/18 70/20 73/4 76/13 76/19 107/7 108/6 110/11 112/21 113/6 says [19] 17/14 56/14 60/14 68/21 70/10 70/15 72/20 78/8 87/14 87/15 98/12 99/21 101/3 102/8 106/24 107/24 108/15 109/14 114/22 schedule [7] 50/2 107/8 108/1 109/1 109/5 112/24 113/2 scheduled [1] 106/20 schedules [2] 4/5 109/3 scheduling [3] 49/1 50/21 50/22 Schiller [18] 32/12 32/19 33/2 40/18 41/3 43/8 43/21 43/23 52/23 58/12 58/14 58/23 59/4 59/5 59/8 68/21 81/17 96/22 scope [8] 89/8 112/18 112/19 113/9 120/23 121/24 122/2 122/13 Scott [3] 1/11 2/11 90/8 SCRC [1] 4/10 Scrubber [3] 22/7 22/19 46/22 seasonal [1] 55/24 second [6] 17/12 60/13 61/3 87/10 108/22 115/9 section [12] 11/6 11/14 11/15 11/21 16/23 17/2 17/11 17/12 17/13 17/19 17/20 20/10 Section III [1] 16/23 secured [1] 68/23 security [1] 88/12 see [26] 30/22 38/12 41/13 49/18 52/3 54/13 59/21 59/24 66/5 68/4 73/17 75/16 79/18 87/15 88/6 88/13 90/19 91/11 91/17 91/20 92/23 94/4 94/9 98/3 104/12 113/6 seeing [6] 5/15 47/23 48/4 63/2 101/18 116/18 seek [4] 17/14 25/1 117/24 122/8 seeking [2] 24/21 49/4 seem [4] 43/12 43/15 76/11 101/11 seems [2] 74/21 89/5 seen [6] 22/10 52/16 60/22 75/18 77/21 120/3 sell [1] 61/10 selling [2] 26/20 63/10 sells [2] 27/12 60/23 sense [2] 77/24 115/23 sensitivity [1] 28/6 sensors [1] 107/20</p>	<p>sentence [2] 96/5 110/20 separate [1] 22/7 separately [1] 10/17 September [2] 12/6 42/1 series [1] 17/21 serve [2] 26/15 61/5 served [2] 25/22 73/1 service [57] 1/7 1/7 1/14 3/4 4/4 4/7 4/10 4/19 6/20 6/22 7/3 7/12 7/18 8/3 8/9 20/22 25/21 27/11 52/12 53/10 60/15 60/18 60/23 61/17 63/9 63/16 65/16 69/8 69/10 69/23 71/13 77/23 81/6 82/6 82/24 83/5 83/14 83/16 84/1 84/12 84/24 85/11 86/12 86/19 87/8 98/1 100/24 101/1 101/16 106/22 110/9 117/4 117/12 117/13 119/15 121/17 121/23 Service's [3] 75/4 76/15 102/5 services [3] 6/21 8/22 87/2 session [1] 12/7 set [8] 22/12 43/22 83/23 85/21 93/14 112/23 119/1 120/22 setting [5] 21/21 29/23 82/19 82/20 121/23 settings [14] 83/2 83/23 84/4 84/4 84/20 84/21 85/8 85/12 85/20 85/21 86/2 86/8 86/13 86/16 settled [2] 5/16 6/1 settlement [36] 3/9 4/15 5/13 14/21 14/22 15/5 15/11 15/17 15/22 16/5 16/7 16/10 16/19 16/22 16/23 17/18 17/21 18/4 18/21 47/7 52/6 64/15 90/19 91/4 91/19 92/1 95/21 98/7 106/7 119/19 119/20 119/22 120/13 122/4 122/10 122/18 seven [1] 51/18 shared [1] 92/24 sheet [2] 32/8 38/22 shifts [1] 51/18 shock [3] 23/13 23/14 23/18 shoelace [1] 66/14 short [2] 17/9 103/1 short-term [1] 17/9 shorter [4] 32/3 61/24 96/6 96/17 shortly [2] 88/22 115/8 should [30] 10/21 10/22 10/24 11/2 11/17 11/19 11/22 11/23 17/10 49/16 67/16 67/18 76/19 77/10 77/23 84/14 95/9 100/2 100/14 101/19 106/4 107/3 109/20 110/9 117/9 118/4 118/22 120/8 120/13 121/11 shoulder [1] 49/9 show [2] 46/5 63/18 showed [1] 55/3 shows [4] 58/15 59/13 70/12 81/11 shut [2] 38/1 40/9 shutdown [8] 25/9 53/2 54/14 55/5 55/7 56/13 57/16 117/7 side [5] 59/18 65/22 65/22 73/15 115/10 side-to-side [1] 65/22 sight [1] 75/15 signal [1] 82/17 significant [4] 18/12 37/7 60/1 60/3 significantly [1] 33/4 signifying [1] 75/22 signing [1] 92/4 similar [6] 33/2 33/19 82/20 85/17 94/24 111/18 Similarly [1] 92/7 simply [5] 16/8 24/21 26/17 65/14 117/17 simulation [1] 22/3 since [5] 35/12 88/5 88/7 96/2 101/14 single [1] 68/8 sinking [1] 100/10 sitting [1] 115/9 situation [4] 25/2 36/9 37/3 37/12 situations [2] 24/7 108/15 six [6] 40/19 50/14 51/14 77/9 97/24 98/1</p>
--	--	---

<p><b>S</b></p> <p>skip [2] 69/21 70/10  Skipping [1] 109/14  slight [1] 79/4  slipped [2] 66/15 105/13  slowdown [1] 64/8  SMAGULA [106] 2/4 3/6 5/19 6/4 6/10 7/8 7/10 7/10 7/12 7/16 7/21 9/9 9/16 10/3 10/5 10/8 15/8 15/14 15/19 16/17 18/6 19/20 30/3 30/5 30/14 30/21 30/24 31/2 31/5 31/17 31/20 32/11 32/18 32/21 33/1 33/5 33/8 33/12 33/18 33/23 34/4 34/8 34/11 35/16 37/11 37/17 38/16 38/18 39/6 39/11 39/20 40/14 40/22 43/8 43/20 44/3 44/5 44/11 44/15 44/19 45/1 45/8 45/11 45/16 45/18 45/20 45/24 46/7 46/10 46/12 46/19 46/21 46/24 47/6 47/14 47/18 47/20 48/14 49/3 51/2 51/5 51/9 52/2 86/23 87/1 87/11 91/5 92/3 92/9 92/11 92/18 94/17 94/19 96/12 98/10 98/16 99/4 99/7 102/15 103/21 104/13 110/13 111/16 111/18 113/19 113/22  Smagula's [3] 20/9 26/9 29/24  small [6] 12/1 41/5 41/6 42/20 42/21 113/2  smaller [2] 89/14 113/1  smooth [1] 23/24  smoothed [2] 24/2 24/6  smoothing [1] 24/7  snapshot [1] 39/15  so [174]  so-called [1] 62/5  software [1] 103/22  sold [1] 64/3  solicit [1] 95/3  solid [2] 75/12 76/1  solution [2] 103/14 119/22  solved [2] 85/18 101/11  some [47] 4/16 10/11 16/13 16/18 18/15 20/3 24/9 25/7 27/15 30/18 33/15 35/18 43/4 44/22 49/20 54/13 57/18 62/2 64/14 64/17 65/2 69/16 76/16 80/10 83/23 87/1 87/20 87/23 87/23 89/9 90/20 90/23 91/12 91/13 91/13 96/18 99/10 103/15 104/8 106/10 106/13 106/20 107/18 108/12 108/17 113/20 115/19  somebody [4] 66/20 67/12 67/23 83/24  somehow [1] 99/9  someone [5] 65/2 76/18 77/22 93/2 96/2  something [36] 21/14 23/16 39/24 47/1 47/4 50/14 50/17 66/15 67/4 68/7 77/7 77/15 77/17 78/22 79/6 87/17 88/14 89/20 94/9 97/24 99/10 101/2 101/4 104/2 104/11 104/16 104/17 106/21 107/13 107/15 111/12 111/13 111/13 111/19 112/9 113/13  sometime [1] 50/11  sometimes [3] 51/9 68/11 116/11  somewhat [3] 33/14 53/21 83/19  somewhere [2] 45/17 46/18  soon [1] 95/6  sooner [2] 97/15 97/15  sorry [6] 8/1 35/7 54/10 59/8 82/2 107/2  sort [5] 16/13 48/13 98/20 104/9 108/11  sought [1] 92/22  sound [1] 17/5  sounds [5] 27/20 73/4 76/17 80/9 108/6  sources [1] 120/6  space [1] 67/21  spare [4] 110/19 112/3 112/3 112/15  spark [6] 69/20 70/11 70/11 70/14 70/16 70/18  speak [1] 5/6  speaking [1] 28/23  special [2] 48/22 48/24  specialty [1] 50/3</p>	<p>specific [7] 19/1 19/1 21/6 26/8 26/8 48/14 91/7  specifically [2] 39/5 121/18  specifics [1] 99/7  speculation [1] 50/15  spiked [1] 48/7  spikes [1] 44/22  spoke [1] 54/8  spot [3] 21/3 35/23 39/18  spring [5] 49/13 50/4 51/7 80/2 82/22  spurt [1] 76/3  square [1] 31/18  stability [1] 100/18  staff [19] 1/18 5/2 5/21 13/14 14/22 19/13 53/16 53/16 54/5 54/5 54/7 92/20 94/20 104/11 111/24 115/6 115/10 122/5 122/7  Staff's [2] 119/18 122/3  staffing [1] 119/5  stamp [1] 31/11  stamps [1] 30/19  stand [2] 13/5 115/23  Standard [1] 44/2  start [46] 6/16 16/21 16/22 20/19 31/6 55/16 61/23 64/19 69/22 78/9 78/9 78/13 78/15 78/18 78/18 78/19 78/20 78/21 78/23 78/24 79/8 79/10 79/22 79/22 79/22 79/24 80/4 80/14 82/16 83/12 84/7 86/2 88/10 88/11 88/17 88/21 88/21 88/23 96/7 96/9 96/24 97/8 97/23 98/2 98/15 103/1  start-up [17] 78/9 78/9 78/13 78/15 78/18 78/19 78/21 79/10 79/22 79/22 79/22 96/7 96/9 96/24 97/23 98/2 98/15  started [4] 85/10 86/12 93/20 101/10  starting [7] 32/12 68/20 70/1 79/19 80/17 80/19 80/20  starts [6] 32/14 32/23 33/3 34/5 81/19 96/6  startup [1] 96/10  state [8] 1/1 6/17 7/8 7/22 8/16 65/4 106/12 108/7  stated [7] 18/17 18/19 20/21 25/8 28/24 84/12 105/17  statement [13] 20/24 26/12 38/4 46/23 47/6 47/7 47/9 63/8 73/4 79/15 92/3 97/14 108/11  STATEMENTS [1] 2/15  states [3] 52/7 83/2 97/6  stating [1] 65/12  station [10] 26/12 40/6 41/3 50/13 68/21 89/2 89/19 90/2 97/17 104/21  stations [2] 93/21 95/5  statistics [1] 52/16  statute [1] 118/12  stay [3] 21/11 35/1 116/23  stayed [1] 73/21  staying [1] 116/22  stays [3] 26/4 32/13 84/9  steady [1] 73/18  stenographer [1] 14/10  step [3] 96/3 100/2 104/8  Stephen [2] 1/17 4/23  steps [2] 71/4 102/14  Steve [2] 5/2 90/10  Steven [2] 1/19 1/23  sticking [1] 34/17  still [15] 25/19 29/14 51/15 60/5 66/23 69/21 70/13 79/18 81/8 84/17 95/17 98/14 103/2 105/1 105/13  Stipulation [1] 3/9  storage [1] 36/14  straight [3] 51/17 51/21 56/23  straight-time [2] 51/17 51/21  straightforward [1] 118/18  stranded [6] 1/8 3/4 4/4 4/8 121/1 121/17  strengthen [1] 110/2</p>	<p>strike [1] 9/19  strikes [1] 110/8  striking [2] 116/14 116/15  stronger [1] 101/23  structure [1] 24/16  studies [3] 19/5 38/18 103/20  study [1] 91/6  subcontractor [1] 76/15  subject [3] 19/13 36/15 51/15  submit [4] 117/5 117/21 118/4 118/22  submitted [1] 105/9  subsequent [2] 40/17 112/9  subsidiaries [1] 6/22  substantial [1] 59/6  successful [2] 79/8 79/24  such [16] 26/3 35/18 49/15 50/10 50/21 66/6 69/12 74/14 77/8 84/24 84/24 86/13 86/16 90/21 95/9 102/19  sudden [7] 57/20 74/10 74/12 74/15 75/11 75/18 75/21  suggest [1] 120/7  suggestion [3] 106/19 120/2 120/9  summarize [2] 13/6 13/8  summarized [2] 13/5 13/10  summarizes [1] 19/10  summary [4] 16/7 36/16 40/5 54/21  summer [7] 48/2 48/2 50/14 50/18 50/24 51/6 57/21  summertime [3] 48/6 48/12 49/12  superlative [1] 92/11  Supervisor [1] 8/7  supplement [1] 18/6  supplemental [8] 10/16 12/3 60/15 60/18 60/21 63/9 63/16 121/2  supplier [1] 29/11  suppliers [2] 29/11 110/23  supply [3] 8/7 8/10 63/3  support [1] 4/6  supports [1] 119/19  sure [30] 16/21 21/11 36/4 45/24 47/16 49/1 54/3 58/15 64/21 67/5 68/16 71/5 71/14 76/24 83/24 85/15 88/3 89/10 90/3 97/14 99/11 99/24 100/12 102/9 102/15 104/6 109/20 110/6 113/7 116/1  surface [1] 75/12  surge [1] 79/4  surplus [1] 64/3  surprised [3] 35/14 88/6 88/13  surprising [2] 108/13 108/19  Susan [2] 1/16 4/21  susceptible [1] 104/22  sustained [1] 80/7  Suzanne [2] 1/19 5/1  switch [1] 106/13  switches [13] 91/13 91/14 106/9 106/10 106/16 106/21 106/22 107/1 107/4 107/10 107/19 108/4 108/5  sworn [5] 6/6 6/9 6/10 6/11 6/12  system [25] 29/6 36/13 60/24 80/7 83/1 85/16 100/6 100/7 100/13 100/13 100/18 100/18 100/22 100/22 101/3 101/6 101/17 101/21 101/21 101/22 101/23 102/4 103/11 103/11 117/10  systemic [1] 100/5</p> <p><b>T</b></p> <p>table [4] 11/14 17/18 59/18 115/9  tackle [1] 104/24  take [30] 5/12 13/23 22/7 24/3 48/14 48/22 49/7 49/13 49/15 49/17 51/10 55/19 59/12 61/18 70/9 71/4 71/24 72/4 86/1 89/13 93/8 94/1 94/3 94/10 96/3 96/15 103/20 104/7 108/18 122/23  taken [4] 25/10 48/10 72/7 82/10  takes [1] 70/14</p>
--	--	--

<p>T</p> <p>taking [4] 50/24 74/7 80/16 84/14</p> <p>talk [1] 55/20</p> <p>talked [2] 57/17 109/9</p> <p>talking [15] 21/19 21/22 26/5 43/9 45/2 46/2 46/23 61/23 63/19 65/1 74/2 87/23 102/20 106/9 116/12</p> <p>talks [9] 17/2 55/14 68/20 74/6 78/6 79/21 81/20 89/3 108/23</p> <p>target [1] 98/19</p> <p>targeted [3] 41/7 41/7 104/21</p> <p>tasting [1] 69/2</p> <p>tax [1] 44/5</p> <p>technical [4] 12/7 103/6 103/7 111/6</p> <p>technicians [1] 50/3</p> <p>tell [3] 29/21 44/7 60/17</p> <p>tells [1] 32/16</p> <p>temperature [1] 107/21</p> <p>ten [1] 45/16</p> <p>tend [2] 72/17 81/12</p> <p>term [9] 17/9 55/6 61/16 61/21 61/24 62/4 62/10 98/7 107/24</p> <p>terms [7] 15/16 16/21 16/23 21/2 25/15 69/24 95/21</p> <p>test [4] 69/8 70/4 71/5 79/10</p> <p>tested [4] 69/2 69/11 70/5 71/14</p> <p>testified [5] 7/5 7/19 8/11 9/3 105/3</p> <p>testifying [1] 5/17</p> <p>testimonies [1] 3/5</p> <p>testimony [41] 3/7 4/5 9/9 9/12 9/16 9/18 9/21 9/24 10/4 10/10 10/19 11/6 12/12 12/16 13/4 13/6 13/8 13/14 13/18 14/2 16/6 20/20 22/18 25/5 25/8 26/9 26/10 27/21 29/24 30/18 30/21 41/17 53/19 53/22 59/12 60/12 64/18 67/19 72/14 105/17 114/18</p> <p>testing [15] 69/3 69/16 70/3 70/6 70/21 71/7 71/11 71/16 71/17 77/13 77/13 77/16 77/18 109/9 109/10</p> <p>than [31] 11/18 11/20 11/22 11/24 26/11 36/22 41/10 45/9 48/6 48/12 48/21 51/17 55/11 59/1 61/19 63/23 64/4 70/24 77/17 80/3 80/13 89/4 89/12 95/16 96/6 96/10 98/14 103/3 104/20 108/21 116/13</p> <p>thank [57] 5/11 8/14 9/6 9/19 11/11 11/12 12/11 12/15 12/22 13/11 14/1 14/7 14/10 14/11 15/1 15/1 15/21 18/5 19/12 19/15 20/8 20/12 31/14 35/9 42/19 42/22 42/24 49/3 62/12 72/6 72/12 74/1 79/15 87/12 90/6 90/7 92/6 94/13 94/14 95/18 95/20 113/18 114/1 114/3 114/4 115/5 115/13 116/3 117/2 119/8 119/10 120/16 120/17 120/19 122/21 122/22 123/1</p> <p>thanks [2] 90/10 115/11</p> <p>that [662]</p> <p>that's [91] 4/14 5/16 12/18 13/9 17/11 21/10 22/11 26/7 26/11 26/14 26/22 27/7 27/9 27/23 28/3 28/21 29/12 31/20 32/1 32/18 32/19 33/23 36/9 38/12 38/15 39/11 39/24 40/1 40/12 40/19 40/20 42/22 43/11 43/20 44/19 45/12 46/15 46/21 47/22 48/7 50/3 53/18 55/24 57/14 58/7 58/11 60/22 61/12 63/15 68/7 68/7 69/6 69/12 69/21 76/7 82/2 87/20 87/20 90/3 90/5 90/16 92/21 92/22 93/3 93/15 94/13 94/13 95/19 96/21 97/13 99/15 100/2 103/3 104/10 107/1 107/5 108/9 109/19 109/21 110/13 111/17 111/17 113/7 113/15 114/5 114/13 115/1 115/15 115/21 118/21 120/8</p> <p>their [41] 13/6 13/8 46/1 53/13 54/7 54/22 54/22 55/1 59/5 60/4 60/24 61/5 61/5 61/20 66/5 66/6 66/14 66/15 67/18 67/18 68/4 76/16 78/15 81/9 81/9 83/1 85/7 86/15 87/2 89/11 89/18 94/10 94/11 95/3 100/13 100/21 104/22 110/23 115/11 118/5 119/15</p>	<p>them [19] 18/1 19/6 22/19 49/13 52/5 67/6 67/23 69/11 71/12 85/5 85/8 96/24 97/21 98/20 106/17 108/1 108/5 108/12 108/18</p> <p>then [51] 12/19 16/24 17/19 21/13 32/2 32/6 32/13 33/2 34/5 35/24 36/3 36/5 37/2 37/19 39/16 40/15 41/20 44/16 44/23 54/18 55/14 58/23 60/2 63/7 70/2 71/20 74/23 77/10 78/10 79/6 80/4 80/6 81/23 82/2 82/13 83/5 86/5 86/14 91/16 91/18 92/22 96/8 97/11 99/19 103/13 103/15 104/8 104/14 104/15 104/23 117/8</p> <p>there [138]</p> <p>there's [31] 10/11 17/8 17/23 19/3 20/2 33/12 39/7 44/5 53/21 67/22 70/16 76/13 79/19 88/20 90/23 93/12 93/17 94/8 94/23 95/17 96/18 97/10 98/3 104/20 108/17 111/11 112/21 113/7 113/13 116/7 118/8</p> <p>therefore [3] 52/24 65/17 122/17</p> <p>thermal [3] 45/6 45/13 117/16</p> <p>thermodynamic [1] 48/21</p> <p>these [57] 10/14 12/1 12/6 18/10 18/20 21/23 40/19 51/10 52/16 54/16 60/6 61/12 61/21 62/11 63/4 63/14 68/18 68/22 75/15 84/2 84/20 84/20 85/10 85/15 85/18 86/13 88/21 91/17 91/20 93/5 93/21 94/5 97/20 100/16 100/19 102/6 102/17 103/10 103/18 106/10 107/19 108/11 110/8 110/15 111/16 111/21 112/4 113/16 113/23 116/16 117/8 118/4 118/6 118/15 120/12 121/3 122/12</p> <p>they [135]</p> <p>they're [17] 21/24 30/20 45/23 65/20 67/19 69/14 75/19 84/5 88/18 88/23 93/5 94/6 94/9 100/20 104/22 107/17 107/18</p> <p>thick [1] 76/6</p> <p>thin [7] 74/12 74/23 75/12 76/5 76/11 77/22 77/24</p> <p>thing [18] 25/11 43/18 47/22 58/13 68/13 77/2 77/21 78/6 79/21 82/4 91/1 91/16 93/11 99/13 109/18 110/5 115/6 120/3</p> <p>things [16] 24/17 39/13 47/14 57/18 64/14 69/23 85/15 91/20 94/4 94/16 99/18 100/19 110/15 112/5 118/6 118/9</p> <p>think [61] 13/9 14/9 16/9 16/13 19/3 21/9 26/1 30/22 34/4 34/11 34/13 38/15 38/18 40/1 40/4 40/8 43/20 47/6 50/12 65/18 65/19 71/6 71/19 71/23 75/23 77/20 78/22 88/7 88/10 88/20 91/10 91/18 92/8 92/9 92/12 92/18 92/18 93/4 93/9 93/10 93/16 94/19 94/23 94/23 95/8 95/17 97/3 97/13 103/19 103/22 103/23 104/5 109/4 109/12 110/4 110/20 110/24 113/5 113/20 119/21 120/11</p> <p>thinking [2] 50/5 67/14</p> <p>third [2] 11/16 93/7</p> <p>Thirty [1] 45/21</p> <p>Thirty-five [1] 45/21</p> <p>this [171]</p> <p>thorough [10] 18/9 83/18 89/12 90/13 92/10 92/21 93/3 93/17 95/7 115/22</p> <p>thoroughness [2] 92/16 92/19</p> <p>those [41] 9/17 12/11 15/10 17/17 18/24 19/1 19/8 19/22 24/6 29/5 30/24 33/7 43/7 46/14 46/16 46/21 49/9 50/24 53/4 59/21 60/2 61/1 62/5 62/15 62/20 62/22 64/3 64/6 70/24 84/4 85/6 85/17 93/13 94/12 103/19 104/24 107/21 118/9 121/5 121/10 122/9</p> <p>though [11] 21/11 23/4 42/20 48/1 48/17 81/9 84/23 84/23 111/20 111/21 113/14</p> <p>thought [2] 28/24 50/17</p> <p>thousand [2] 18/17 58/14</p> <p>three [11] 20/3 51/12 62/2 64/6 83/11 89/3 97/3 97/5 97/9 97/12 112/24</p> <p>three-week [1] 51/12</p> <p>threshold [2] 66/10 67/12</p> <p>through [25] 10/20 16/12 19/4 29/22 41/7</p>	<p>54/16 59/16 64/6 64/17 64/19 68/18 71/4 72/16 79/3 84/13 85/9 93/23 94/4 98/22 98/24 112/5 113/23 117/12 122/5 123/1</p> <p>throughout [1] 120/3</p> <p>tie [3] 46/12 46/22 67/7</p> <p>tie-in [2] 46/12 46/22</p> <p>tied [1] 67/2</p> <p>tightness [1] 101/22</p> <p>time [50] 5/23 5/24 23/19 24/18 26/2 26/3 30/8 33/3 48/17 51/15 51/17 51/21 56/16 57/5 57/9 58/21 59/16 60/4 60/8 62/9 62/18 62/19 62/22 62/23 79/20 82/17 82/18 83/21 87/11 89/7 89/24 90/6 93/9 96/9 96/10 97/1 97/23 98/15 98/18 98/19 103/1 106/15 107/9 107/14 107/24 111/23 115/7 115/14 115/16 118/1</p> <p>time-bounded [1] 107/9</p> <p>timeframe [1] 98/13</p> <p>timeframes [1] 82/12</p> <p>times [8] 79/23 83/11 94/4 96/7 96/19 96/21 107/22 112/12</p> <p>timing [1] 89/6</p> <p>tiny [1] 5/24</p> <p>title [1] 31/22</p> <p>titled [1] 16/23</p> <p>today [12] 4/14 5/10 9/21 9/24 10/4 10/6 10/7 10/10 12/13 14/4 40/9 122/5</p> <p>together [4] 22/2 61/11 110/4 110/6</p> <p>told [2] 52/12 84/5</p> <p>too [3] 23/16 66/3 82/17</p> <p>took [10] 46/21 62/9 69/10 76/24 77/9 83/17 83/17 83/21 89/3 109/19</p> <p>tool [2] 66/20 66/24</p> <p>top [4] 47/8 72/20 89/2 106/8</p> <p>total [7] 10/22 11/16 11/21 19/3 30/16 58/2 60/22</p> <p>totality [1] 18/4</p> <p>Totals [1] 11/20</p> <p>touch [1] 67/22</p> <p>touched [1] 67/23</p> <p>toward [1] 29/16</p> <p>towards [1] 50/24</p> <p>traced [1] 84/6</p> <p>track [3] 86/6 98/23 99/11</p> <p>tracking [2] 69/19 69/24</p> <p>traditional [1] 98/15</p> <p>traditionally [1] 57/12</p> <p>training [3] 67/5 67/7 110/3</p> <p>transactions [1] 52/8</p> <p>TransCanada [1] 5/8</p> <p>transferred [1] 82/21</p> <p>transformer [10] 74/7 74/16 75/5 75/6 75/14 75/17 75/20 75/24 76/4 77/9</p> <p>transient [2] 100/18 103/12</p> <p>transients [1] 102/23</p> <p>transition [1] 49/11</p> <p>translated [1] 99/8</p> <p>transmission [1] 53/11</p> <p>transportation [2] 36/13 36/15</p> <p>tremendous [1] 61/24</p> <p>trial [1] 80/24</p> <p>triangle [2] 32/9 46/5</p> <p>tried [1] 115/23</p> <p>trip [24] 65/4 65/9 66/23 67/14 74/6 78/7 79/22 79/22 79/22 81/21 83/13 84/7 84/10 84/10 84/12 84/17 100/4 100/14 100/14 100/24 101/5 101/8 101/19 102/2</p> <p>tripped [8] 66/2 66/14 66/24 82/1 82/5 82/9 83/14 102/24</p> <p>tripping [3] 65/1 74/10 84/14</p> <p>trips [5] 85/8 85/10 100/7 100/16 102/6</p> <p>trouble [1] 81/19</p> <p>true [6] 12/12 19/20 52/21 101/12 115/14 115/15</p> <p>try [8] 19/6 34/24 49/13 67/7 67/11 94/11</p>
---	---	--

<p><b>T</b></p> <p>try... [2] 103/18 104/5  trying [20] 25/6 34/21 34/23 38/6 38/8 46/4 47/16 47/21 50/8 55/15 56/23 66/10 67/24 79/16 93/11 94/10 99/15 101/11 108/10 111/5  tuned [1] 113/9  tuning [1] 113/12  turbine [1] 96/16  turn [5] 16/24 99/21 100/3 114/17 116/11  turned [1] 62/23  Turning [1] 29/24  turnkey [1] 75/6  two [19] 20/2 26/2 27/15 30/20 30/23 32/22 34/5 34/15 49/18 62/3 62/3 68/21 78/10 83/17 84/2 84/21 100/19 101/1 102/9  type [13] 50/22 51/6 69/16 77/14 77/21 87/5 91/1 95/12 99/13 100/19 106/13 106/20 108/17  typically [1] 26/4</p>	<p>update [7] 53/6 81/21 83/1 83/3 86/1 86/7 105/7  updated [1] 42/1  updates [9] 9/20 10/3 10/9 12/11 14/2 82/24 83/4 83/7 84/22  upgrade [2] 82/22 108/4  upon [2] 84/11 97/11  upper [1] 29/16  URS [1] 110/24  us [16] 32/16 36/22 50/3 51/9 51/16 53/8 54/16 60/17 69/17 89/9 93/6 93/12 93/16 95/8 97/11 111/9  use [16] 21/7 23/6 30/1 51/13 51/19 54/17 61/5 61/10 70/7 75/14 78/9 79/12 84/2 92/8 108/14 108/14  used [16] 17/6 29/6 52/9 59/7 68/23 69/13 70/22 71/18 75/18 76/17 92/9 105/13 108/24 109/10 109/12 110/1  uses [1] 90/21  using [6] 23/4 53/4 56/17 67/11 109/12 116/11  usually [2] 74/15 100/15  utilities [6] 1/2 6/20 8/3 90/16 90/21 97/18  utility [7] 1/17 71/8 87/5 91/2 108/20 109/13 110/9  utilized [1] 29/23</p>	<p>113/21 114/3  ways [3] 33/10 33/12 34/15  we [188]  we'll [9] 12/22 26/4 72/4 97/7 98/12 103/15 103/16 103/17 116/18  we're [30] 21/21 23/4 26/5 28/9 28/23 35/22 36/15 47/23 48/4 49/10 49/11 49/12 50/5 63/2 63/19 67/11 70/20 71/9 72/9 74/2 79/17 89/1 94/6 99/15 101/18 107/7 113/3 113/5 116/5 123/2  we've [13] 16/10 24/4 24/5 25/23 48/2 52/16 71/19 94/21 97/19 112/4 112/6 112/10 118/14  weak [1] 101/22  weather [2] 48/23 49/18  week [7] 26/2 32/1 49/17 49/21 51/12 51/18 112/21  weekly [1] 37/12  weeks [13] 26/2 32/3 32/4 37/4 49/19 50/14 51/13 51/14 77/10 112/23 112/24 112/24 113/4  weird [1] 116/7  well [42] 23/6 23/21 24/13 25/20 28/9 28/23 30/22 31/4 34/9 34/19 39/20 40/9 42/10 47/5 48/24 57/12 63/21 68/10 68/15 70/7 70/10 71/9 76/21 77/4 78/3 81/11 84/10 85/21 86/6 87/7 88/2 88/16 92/18 102/8 102/10 103/21 111/16 115/11 115/21 116/11 116/14 121/14  went [4] 64/10 73/13 73/20 76/23  were [90] 6/5 9/23 10/1 10/6 12/5 14/4 17/4 17/5 17/7 18/15 18/18 18/23 20/3 22/1 22/7 25/9 25/10 26/24 42/2 43/5 43/9 43/21 45/2 45/2 48/8 49/4 49/22 50/15 50/19 52/9 52/12 52/17 52/19 53/6 59/9 59/15 59/20 59/22 59/23 60/6 61/16 61/18 61/18 61/21 62/16 62/17 62/19 62/20 65/21 66/7 68/5 71/13 80/18 80/20 82/19 82/20 82/21 82/24 83/23 84/15 85/7 85/8 85/18 86/8 87/7 87/23 92/14 93/20 96/23 99/18 100/16 103/23 107/11 108/12 108/24 109/6 109/7 111/1 111/20 112/7 112/7 113/23 113/24 114/23 115/2 116/1 118/18 118/19 118/19 119/20  weren't [6] 47/16 62/18 68/6 92/5 109/1 116/1  what [136]  what's [13] 49/8 50/6 64/16 64/16 73/20 81/19 83/11 83/13 83/15 97/21 100/20 106/14 116/9  whatever [14] 43/16 60/24 61/11 63/11 65/15 67/24 70/10 71/2 75/1 75/7 77/8 99/3 105/2 117/9  wheels [1] 107/21  when [70] 10/1 20/6 21/15 22/1 22/9 22/12 25/20 26/3 26/10 26/11 26/15 26/24 28/24 32/23 35/17 37/10 38/9 38/9 39/15 46/2 49/10 49/21 50/19 54/21 55/1 57/14 57/23 60/21 61/3 64/22 65/20 66/4 70/3 70/5 70/21 72/18 72/24 74/9 76/2 79/6 80/18 80/21 80/23 84/4 84/7 85/11 85/21 86/6 88/8 90/19 93/20 96/12 96/19 97/6 97/14 98/23 99/19 101/20 106/17 107/11 107/19 107/22 107/24 110/14 111/7 112/12 112/23 113/8 115/24 118/23  where [31] 23/8 25/2 29/2 37/4 38/13 44/13 50/1 53/9 55/14 56/14 60/20 61/23 63/18 65/2 65/19 71/3 74/18 74/22 79/4 86/23 88/23 89/6 89/20 89/21 93/12 98/17 109/14 110/18 116/23 118/15 120/11  Whereas [1] 30/14  Whereupon [2] 6/3 123/3  whether [19] 19/22 21/2 21/14 28/1 36/2 36/7 37/2 40/16 61/8 81/5 93/1 94/21 95/12 96/2 103/12 108/7 110/17 119/13 121/16</p>
<p><b>U</b></p> <p>Uh [1] 86/4  Uh-huh [1] 86/4  ultimately [1] 25/1  unanalyzed [1] 109/23  unavailable [1] 32/5  uncommon [1] 75/14  undefined [1] 24/10  under [12] 8/20 9/12 11/15 11/19 11/21 11/23 44/1 45/16 70/24 117/3 118/1 122/23  underrecoveries [3] 23/23 24/5 24/19  underrecovery [6] 22/9 22/16 22/22 23/12 24/10 121/7  understand [10] 4/15 34/22 74/2 76/9 99/24 103/10 109/20 113/20 113/22 120/3  understanding [6] 25/7 42/6 65/10 102/13 109/16 122/19  undertake [1] 103/5  undoing [1] 99/3  undone [1] 98/21  uneconomic [1] 118/5  unfair [1] 92/13  unfortunately [1] 68/11  Union [1] 50/13  unique [1] 57/11  unit [71] 17/13 25/19 25/21 28/18 28/22 29/1 30/1 30/6 30/15 31/24 32/4 32/12 32/19 33/3 33/7 33/7 33/20 33/22 34/5 34/9 35/18 36/1 36/3 36/7 36/18 36/23 37/1 37/2 37/6 37/6 37/20 39/7 39/23 40/14 40/16 40/18 41/5 41/12 43/13 48/15 49/17 54/20 55/8 55/19 55/20 57/2 57/6 68/23 74/11 75/22 77/13 78/7 78/19 78/20 78/23 78/24 79/8 80/6 88/9 88/9 89/21 89/22 96/6 96/12 96/14 96/16 98/1 98/24 100/6 101/19 102/24  unit's [1] 41/8  United [1] 110/24  units [31] 17/23 25/17 26/7 27/24 33/7 33/9 33/19 37/19 44/4 46/21 48/11 48/16 48/22 49/5 52/23 52/23 53/13 69/14 84/2 88/11 88/17 88/21 88/24 89/13 89/14 89/18 93/20 96/20 96/22 107/23 108/17  unreasonable [2] 21/16 23/4  until [2] 19/9 105/10  up [51] 5/12 17/12 32/23 36/7 36/23 37/3 37/7 40/20 41/1 43/4 46/5 49/24 61/12 63/18 70/12 74/24 76/10 76/18 77/8 78/9 78/9 78/13 78/15 78/18 78/19 78/20 78/21 79/10 79/22 79/22 79/22 82/4 82/8 83/12 88/4 91/7 94/20 95/8 96/7 96/9 96/24 97/23 98/2 98/13 98/15 101/1 103/1 106/19 107/8 115/24 117/11</p>	<p><b>V</b></p> <p>vacations [1] 50/22  valuable [1] 118/7  value [18] 26/18 29/1 32/7 37/7 38/20 38/22 38/24 39/7 39/9 40/5 62/1 73/18 93/17 94/19 94/23 111/23 117/8 117/9  values [2] 17/4 61/24  variable [2] 44/13 60/9  variables [1] 36/24  variety [1] 36/18  various [2] 43/9 82/11  vendor [3] 77/6 80/4 82/14  verbal [3] 5/14 97/12 116/20  verbally [1] 97/19  verified [2] 109/1 109/4  verify [2] 81/5 109/6  version [1] 83/3  versus [1] 37/8  vertically [2] 65/7 66/1  very [25] 16/18 19/17 23/12 32/17 36/2 36/10 37/24 40/23 68/12 69/22 73/13 73/18 75/12 87/14 89/2 92/21 93/2 95/7 95/11 95/18 112/7 113/23 114/1 115/8 115/23  vibrate [2] 75/13 76/5  vibration [1] 74/18  Vice [1] 7/16  violations [1] 95/12  virtually [3] 65/8 66/1 89/24  visual [1] 77/20  volatility [1] 118/8  volume [5] 63/22 63/23 64/4 64/6 64/7</p>	<p><b>W</b></p> <p>walk [4] 16/12 54/16 64/19 106/5  want [12] 24/22 51/5 63/4 64/21 65/11 67/10 68/3 90/9 90/11 90/16 104/18 118/6  wanted [8] 20/8 31/10 47/13 47/16 89/23 92/5 92/20 93/4  wants [3] 102/12 115/10 118/1  warm [3] 36/2 49/21 57/19  warranted [2] 92/17 93/1  warranty [2] 71/1 71/2  was [218]  wasn't [11] 48/24 53/8 58/9 66/11 67/5 79/14 84/1 88/3 90/3 99/5 111/10  water [3] 48/18 89/17 107/21  way [14] 23/2 32/15 34/22 37/15 38/14 39/7 65/12 73/22 75/23 94/15 98/7 99/11</p>

**W**

which [62] 10/19 17/9 17/20 21/15 22/7 22/20 22/22 29/6 31/2 32/7 34/8 34/17 35/11 35/20 37/19 38/23 39/17 39/20 40/3 42/1 42/8 43/13 43/17 43/21 44/4 45/22 47/9 48/12 50/16 51/12 51/18 52/21 53/15 56/7 57/22 63/9 66/22 70/3 70/22 73/13 75/11 75/13 77/20 79/17 80/18 82/14 84/3 84/16 89/4 99/22 100/14 101/1 101/2 105/5 107/23 108/5 108/13 108/13 108/14 117/12 117/19 121/11  
 Whichever [1] 102/11  
 while [2] 113/12 120/3  
 WHITE [55] 2/5 3/6 5/19 6/4 6/11 7/22 7/24 7/24 8/3 8/7 8/13 9/8 9/18 10/9 10/11 10/14 11/14 12/14 15/9 15/15 15/20 16/17 21/9 25/14 25/15 25/18 25/20 26/14 26/22 26/24 27/3 27/7 27/9 27/12 27/17 27/20 28/3 28/5 28/9 28/14 28/17 28/23 29/5 29/12 29/15 29/21 62/13 62/15 63/7 63/13 63/17 63/21 64/2 64/11 64/13  
 who [13] 5/4 5/7 31/14 70/17 70/18 76/18 77/10 96/11 102/16 103/9 104/1 115/9 117/11  
 who's [1] 8/20  
 whoever [2] 52/4 102/12  
 whole [6] 39/4 39/10 77/8 78/5 79/21 117/10  
 wholesale [4] 47/24 48/5 49/5 50/6  
 wholesaler [1] 57/19  
 whom [4] 6/19 7/11 8/1 8/19  
 whoops [2] 83/12 83/14  
 why [26] 5/15 5/24 16/21 35/14 39/11 46/21 58/15 62/11 68/5 68/7 69/12 75/2 76/10 77/24 78/14 80/14 81/3 83/20 83/20 83/24 87/20 87/21 99/15 101/18 107/9 116/22  
 wide [1] 17/23  
 will [52] 5/9 5/19 5/20 17/14 18/7 19/9 22/3 33/10 34/24 34/24 41/14 42/11 48/17 49/16 53/13 54/21 57/14 65/7 69/14 72/17 73/2 73/6 76/4 84/10 85/24 88/22 90/10 90/22 90/22 90/22 91/3 91/6 94/10 96/14 97/5 97/8 97/16 97/20 99/16 100/15 102/15 103/20 104/7 110/7 110/12 115/8 115/19 115/19 118/7 118/7 121/22 122/23  
 WILLIAM [5] 2/4 3/6 6/4 6/10 7/10  
 willing [1] 13/5  
 win [1] 111/5  
 wind [1] 101/1  
 window [1] 80/21  
 winter [7] 48/6 48/16 48/18 49/11 51/1 51/4 57/19  
 wintertime [2] 48/1 48/12  
 Wiping [1] 65/24  
 Wish [1] 116/4  
 wishes [1] 88/14  
 within [2] 27/14 103/1  
 without [6] 34/6 34/16 35/5 41/11 71/2 88/19  
 withstand [1] 100/23  
 withstanding [1] 101/6  
 witness [8] 2/4 11/13 14/17 19/14 38/17 54/4 54/24 73/11  
 witnesses [7] 12/16 13/6 13/7 15/4 16/12 19/14 114/7  
 won't [2] 92/18 97/9  
 wondering [1] 50/20  
 wood [8] 32/19 32/24 40/18 40/21 40/22 40/23 40/24 58/16  
 word [2] 30/1 92/9  
 words [6] 41/18 80/24 87/14 92/9 95/24 101/8  
 work [26] 12/9 18/10 41/2 41/3 46/22

51/17 51/17 51/20 71/6 86/15 87/8 89/8 91/11 93/6 101/12 101/15 104/1 104/2 104/6 108/1 110/6 112/18 112/19 115/11 115/19 122/24  
 worked [5] 19/8 19/9 70/6 71/11 71/14  
 workforce [1] 112/20  
 working [8] 5/4 9/17 50/5 85/2 89/18 98/5 102/20 104/23  
 workplan [1] 113/3  
 world [1] 116/5  
 worth [2] 18/17 78/23  
 would [156]  
 wouldn't [5] 25/3 63/16 73/15 75/3 86/14  
 written [1] 106/15  
 wrong [13] 44/7 47/15 64/21 79/6 83/24 87/18 93/23 93/24 101/20 111/11 112/2 112/21 113/13

**Y**

year [36] 4/4 4/8 4/13 17/23 18/9 22/22 23/8 25/6 25/11 25/24 26/13 29/17 31/24 32/2 41/10 46/7 46/8 46/12 46/22 48/17 49/10 50/4 57/13 62/24 63/23 84/21 85/12 95/4 95/6 95/6 104/1 104/6 105/13 119/13 121/3 121/5  
 year's [3] 22/4 41/13 112/9  
 years [15] 22/11 25/8 25/24 41/1 50/18 62/21 64/6 67/20 84/21 102/2 107/23 108/2 111/22 112/4 115/12  
 yes [112] 5/18 7/7 7/21 8/13 9/5 9/11 9/14 9/16 10/2 10/8 10/11 10/13 11/9 12/14 12/20 13/16 13/20 13/24 14/6 14/24 15/7 15/8 15/9 15/14 15/15 15/18 15/19 15/20 20/1 20/15 21/1 21/8 21/20 25/15 25/16 26/14 27/3 27/12 28/5 29/8 30/3 30/5 30/22 31/12 31/17 31/20 32/11 32/21 33/5 33/8 33/18 34/11 34/12 34/13 35/8 39/11 39/13 42/17 43/2 43/20 44/3 44/11 44/19 45/1 45/8 45/12 46/19 47/6 47/10 49/3 49/4 52/2 53/14 53/24 54/5 54/11 54/20 55/17 56/2 56/3 56/10 57/4 57/8 58/8 58/22 59/3 59/4 59/9 60/8 60/10 61/7 62/14 63/13 63/17 64/11 64/13 73/24 79/13 85/23 86/18 87/22 89/23 92/3 92/11 97/2 112/13 113/12 113/19 113/22 114/11 115/4 119/7  
 yet [4] 28/12 42/4 43/14 105/5  
 you [395]  
 you'd [1] 98/13  
 you'll [1] 41/13  
 you're [38] 21/6 21/13 21/19 22/1 23/12 27/4 34/2 39/15 39/15 39/16 40/10 42/4 51/24 51/24 53/7 55/10 55/24 57/23 63/9 64/22 65/12 69/12 70/21 71/1 76/13 76/19 84/13 101/2 101/7 106/9 108/5 109/11 109/18 109/22 110/3 116/5 116/10 116/22  
 you've [6] 27/10 31/18 34/15 69/21 77/21 104/9  
 your [79] 5/6 6/17 6/24 6/24 7/8 7/14 7/22 8/1 8/5 8/5 8/16 8/23 9/12 9/20 9/24 9/24 10/4 10/7 10/10 12/12 14/2 21/5 22/24 22/24 23/1 23/2 24/9 24/22 25/5 27/23 27/24 28/8 28/13 28/22 30/18 32/3 40/8 40/11 40/13 41/17 42/10 43/8 44/12 47/10 48/11 52/6 53/18 53/22 57/17 57/21 60/11 65/19 65/21 66/10 68/13 69/14 69/21 69/21 70/7 71/11 77/14 79/15 80/22 84/13 92/9 92/15 101/5 101/6 102/4 102/13 102/13 105/16 111/17 113/8 113/9 114/1 114/7 114/11 114/17

**Z**

zero [2] 57/2 64/6  
 zeros [2] 58/7 58/15